

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BEFORE THE BOARD OF ENVIRONMENTAL REVIEW
OF THE STATE OF MONTANA

BOARD MEETING)
September 30, 2016)

TRANSCRIPT OF PROCEEDINGS

Heard at Room 111 of the Metcalf Building
1520 East Sixth Avenue
Helena, Montana
September 30, 2016
9:00 a.m.

BEFORE CHAIRMAN JOAN MILES,
BOARD MEMBERS CHRIS TWEETEN, DR. ROBERT BYRON,
ROY O'CONNOR; and ROBIN SHROPSHIRE,
MARIETTA CANTY, and MICHELE REINHART-LEVINE

PREPARED BY: LAURIE CRUTCHER, RPR
COURT REPORTER, NOTARY PUBLIC

1 WHEREUPON, the following proceedings were
2 had and testimony taken, to-wit:

3 * * * * *

4 (Ms. Reinhart-Levine not present)

5 CHAIRMAN MILES: Good morning, everyone.
6 We'll call the meeting to order. And I guess I'd
7 ask Hillary to take roll.

8 MS. HOULE: Thank you, Madam Chair. In
9 attendance we have Madam Chair Joan Miles. And I
10 will go through and announce the Board members by
11 name, and if you could just say "here" when I say
12 your name, that would be great. Thank you. I'll
13 start with Board Member Dr. Robert Byron.

14 DR. BYRON: Here.

15 MS. HOULE: Board member Marietta Canty.

16 MS. CANTY: Here.

17 MS. HOULE: Board member Roy O'Connor.

18 MR. O'CONNOR: Here.

19 MS. HOULE: Board member Michele
20 Reinhart-Levine.

21 (No response)

22 MS. HOULE: And Board member Robin
23 Shropshire.

24 MS. SHROPSHIRE: Here.

25 MS. HOULE: Board Member Tweeten.

1 MR. TWEETEN: Here.

2 CHAIRMAN MILES: I believe that Marietta
3 was going to be on the phone, so we'll maybe hear
4 her come in.

5 MS. CANTY: I answered here.

6 CHAIRMAN MILES: I'm sorry. I missed
7 that. I mistook that. I thinking about Michele.
8 So we may hear from her.

9 The first item of business is to review
10 and approve the minutes from August 5th. And I
11 apologize again that I wasn't here, and I do have
12 one slight correction even without being here.

13 In the very first 1-A-1 review and
14 approve minutes, it said Chairman Shropshire
15 called for a motion to adopt the minutes as
16 submitted. Mr. O'Connor and Ms. Reinhart-Levine
17 seconded. So I think you forgot Mr. O'Connor
18 moved.

19 Those of you were here for the meeting,
20 are there any corrections or comments to the
21 minutes?

22 (No response)

23 CHAIRMAN MILES: Okay. Is there a
24 motion to approve?

25 MR. O'CONNOR: So moved.

1 CHAIRMAN MILES: Is there a second?

2 DR. BYRON: Second.

3 CHAIRMAN MILES: It's been moved and
4 seconded. All in favor, please say aye.

5 (Response)

6 CHAIRMAN MILES: Anyone opposed?

7 (No response)

8 CHAIRMAN MILES: Motion carries
9 unanimously. Thank you.

10 With that, we're going to move right
11 into contested case updates and hear from Ben.

12 MR. REED: Thank you, Madam Chair. In
13 the matter of the public water supply laws with
14 Highlander Bar and Grill, the stipulation has been
15 entered, and the Highlander Bar and Grill is,
16 insofar as I know, complying with that
17 stipulation.

18 For A(1)(b) and (c), the second proposed
19 briefing contested case hearing schedule has been
20 filed by the parties, and an order has been
21 issued. Those orders are running in parallel and
22 will continue at pace.

23 In (d), the matter of violations of
24 Water Quality Act by Buscher Construction, the
25 parties anticipate resolution through mediation,

1 so they anticipate that matter will be resolved
2 one way or another by November 30th or they will
3 so inform me.

4 Moving to non-enforcement cases, No. 2,
5 in the matter of the Phillips 66's appeal of
6 outfall 006 arsenic limits, that matter has been
7 stayed to December 17th of this year.

8 With Columbia Falls Aluminum Company,
9 again, at this point the matter proceeds at pace.
10 The parties may be able to resolve, but they have
11 both filed -- we're sort of moving towards a
12 hearing at this point, so both parties have filed
13 prehearing statements. I think we anticipate
14 going to a hearing on that.

15 In the matter of Heart K Land and
16 Cattle, I held a hearing on September 1st. The
17 parties presented arguments in support of their
18 motions for summary judgment, and I'm working on
19 that. I anticipate having that wrapped up pretty
20 quickly.

21 The second prehearing order in
22 Westmoreland Resources simply sets a new schedule;
23 as does (e), with the MPDES permit issued by DEQ
24 for the Laurel Refinery.

25 In the matter of termination by DEQ of

1 the application by Payne Logging, exceptions and
2 presentation of briefs and oral argument are being
3 worked on by the parties, and that is proceeding
4 according to schedule.

5 (Ms. Reinhart-Levine present)

6 CHAIRMAN MILES: Good morning, Michele.
7 Thanks for joining. We're just going through.
8 We're on the non-enforcement cases assigned to the
9 Hearing Examiner, getting an update on that. And
10 I think we have the whole Board in attendance
11 either here in person or on the phone. So thank
12 you.

13 MS. SHROPSHIRE: Joan, just to interrupt
14 for just a minute. I'm travelling this morning,
15 and at some point I may have to drop off to get on
16 a plane, so I wanted to warn you ahead of time.

17 CHAIRMAN MILES: Thanks, Robin. And
18 nice job last meeting, with a record pace on the
19 Board meeting.

20 MS. SHROPSHIRE: You're welcome.

21 MR. REED: Under (g), in the matter of
22 LT Trucking, the request for extension to file
23 joint scheduling order was responded to. I
24 confess that this was responded to a bit late. I
25 just got the matter signed today. But the parties

1 are moving forward with that matter.

2 In the matter of the denial of the
3 nondegradation review for Lakes at Heron
4 Subdivision, the parties have filed a joint
5 stipulation to dismiss without prejudice. I've
6 prepared an order for your signature, Madam Chair.

7 And in the matter of the appeal of the
8 violations of the Open Cut Mining Act by Big Rock,
9 I've issued a first prehearing order asking the
10 parties to set a schedule.

11 CHAIRMAN MILES: Before Ben moves to the
12 next topic, any questions or procedural questions
13 from the Board?

14 (No response)

15 CHAIRMAN MILES: Okay. Thank you.

16 MR. REED: And in the contested cases
17 not assigned to a Hearing Examiner, in the matter
18 of WECO regarding its MPDES permit, Mr. North,
19 would you --

20 MR. NORTH: Madam Chair, members of the
21 Board, John North. I'm sitting in for George
22 Mathieus today. He is ill, and so I'm sitting in
23 for him.

24 With regard to that, two things have
25 happened recently. One is that the briefing on

1 the attorney fees issue between the Plaintiffs and
2 the Department is ongoing. I think briefing
3 should be done in early October, and then it will
4 be ready for decision by the Judge on the issue of
5 whether attorney fees are due and owing.

6 At the same time, Western Energy has
7 filed an appeal of the substantive provisions of
8 the case in the Montana Supreme Court, so it looks
9 like that case will be in the Supreme Court for a
10 decision.

11 CHAIRMAN MILES: John, can I ask you
12 briefly. This case versus the WECO case down
13 below, which is a permit for Area B, how do those
14 differ? That's just a little confusing to me.

15 MR. NORTH: This case pertains to the
16 discharge permit for the outfalls. The other case
17 is under the Strip Mine Act.

18 CHAIRMAN MILES: Is it all the same
19 expansion or is it --

20 MR. NORTH: I believe so. I think so.
21 Excuse me. It is not. I wasn't sure on that. So
22 it's a different expansion. I'm sorry.

23 CHAIRMAN MILES: So it is a different
24 area of the mine, so they're very separate issues
25 here.

1 MR. NORTH: They're separate, yes.

2 CHAIRMAN MILES: Thank you.

3 MR. O'CONNOR: Madam Chair, excuse me.
4 I'm still not clear on where we are with respect
5 to the Signal Peak/MEIC agreement or discussions
6 that were going on. Has that been settled? If
7 so, I may be missing out on something here, but I
8 haven't gotten any letters on it or any
9 information recently.

10 MR. NORTH: Madam Chair, I think Mr.
11 Reed will be addressing the Board on that issue.

12 MR. REED: Absolutely. That's going to
13 be under new contested cases, Mr. O'Connor.

14 MR. O'CONNOR: Okay. Thank you.

15 CHAIRMAN MILES: Something has happened
16 apparently. Thank you. Any questions from anyone
17 on the phone?

18 (No response)

19 CHAIRMAN MILES: Other briefing items.
20 Thank you for your update. Air quality permit
21 fees; is that where we are?

22 MR. REED: Yes, Madam Chair.

23 MR. NORTH: Madam Chair, Liz Ulrich will
24 address the Board.

25 MS. ULRICH: Good morning, Madam Chair,

1 members of the Board. My name is Liz Ulrich, and
2 I'm the Analysis and Planning Services Section
3 Supervisor within the Air Quality Bureau.

4 The air quality rules, specifically ARM
5 17.8.510, require the Department to report to the
6 Board annually on air quality fees that are
7 anticipated for the next calendar year. Last year
8 Chuck Homer gave this report, and provided some
9 history of the fee program, as well as discussion
10 of fees for calendar year 2016. I don't plan to
11 cover the same material that Chuck presented, but
12 I am going to refer to some points he spoke about.

13 As a refresher, approximately 75 percent
14 of the Air Quality Bureau is funded by fees
15 collected from either permitted or registered
16 sources or from applications we receive. The
17 Legislature sets appropriation for air fees, and
18 then you as the Board establish a fee schedule
19 sufficient to collect enough revenue to support
20 that appropriation.

21 The majority of the fees collected come
22 from emissions from regulated facilities, or flat
23 fees from registered oil and gas wells and
24 portable facilities.

25 Last year Chuck mentioned that we

1 haven't raised the fee since 2009. Rather than
2 increasing that rate, the Air Quality Bureau
3 worked on reducing expenses, and we are still
4 working on that. We are currently evaluating our
5 program, and determining how we can make them
6 operate more efficiently. We aren't yet 100
7 percent sure what that looks like, but when we do,
8 we will be sure to involve our stakeholders,
9 especially the Clean Air Act Advisory Committee,
10 in the process.

11 Between new regulations being
12 promulgated by the EPA, and large sources of
13 emissions in Montana shutting down, the air
14 quality world is dynamic, and we anticipate being
15 able to support the program through calendar year
16 2017 without needing to request a fee change.

17 Therefore at this time we do not
18 anticipate bringing a request for a fee change
19 before the Board in the next year. In September
20 2017 we will be back and present any anticipated
21 fee changes for that year. Is there any
22 questions?

23 CHAIRMAN MILES: Any questions?

24 (No response)

25 CHAIRMAN MILES: Thank you very much.

1 Now I think it goes back to you.

2 MR. REED: Yes, Madam Chair. Very
3 briefly, Madam Chair, as the Board is aware, the
4 Petitioners in the WECO Rosebud Strip Mine Area B
5 case that's in BER 2016-03, the Petitioners have
6 submitted a motion for summary judgment. The
7 matter has been fully briefed by all the parties.

8 The matter has not been set for hearing
9 because candidly I didn't believe that the Board
10 was going to have enough time to thoroughly digest
11 the materials. I assume the Board members have
12 reviewed the materials. They're fairly copious,
13 and they require quite a bit of review and
14 rumination to address them.

15 That having been said, it would be
16 possible for the Board to hear the matter today.
17 However, absent sufficient amount of public
18 notice, I think it's probably not appropriate.
19 That having been said, there are a couple of
20 issues that the parties have raised that I think
21 are appropriate to address to the entire Board.

22 The matter has not been set for hearing
23 by a Hearing Examiner. Therefore the Board needs
24 to hear the matter. The matter can be heard at
25 the December meeting of the Board. Having talked

1 with Mr. Mathieus, I believe that there is going
2 to be ample time on the schedule for the Board to
3 be able to hear the matter, and get a full and
4 fair accounting of the parties' legal positions
5 during the ordinary course of a one day meeting.

6 The parties have indicated, however,
7 that they have a little bit of a concern about the
8 fact that there are several Board members whose
9 terms expire on the first of next year; and so in
10 a perfect world, therefore, the parties would like
11 to have the matter heard by the same Board members
12 who ultimately would be making a decision.

13 So the parties have requested that the
14 matter possibly be set for a hearing in October or
15 November. That would be at the Board's
16 convenience obviously, but the parties have
17 indicated that they would be ready and able to
18 move their schedules around.

19 I note that the parties are all in
20 attendance today, and may wish to express their
21 opinions on the matter to the Board, but that's
22 sort of the lay of the land at current.

23 CHAIRMAN MILES: The next meeting is
24 December 9th; is that correct?

25 MS. HOULE: That's correct, Madam Chair.

1 CHAIRMAN MILES: And I missed two
2 meetings here. So did we ever take up this issue
3 of whether to assign this to a Hearing Examiner or
4 not?

5 MR. REED: Madam Chair, when the matter
6 was first appealed to the Board, the parties
7 requested that the matter not be heard by a
8 Hearings Examiner. Candidly I think part of the
9 reason was that they believed that the matter was
10 going to need to be heard by the Board at some
11 point. Whichever way the Hearing Examiner decided
12 on the matter, it would then be appealed by one of
13 the parties to the Board, so they requested that
14 the Board simply not assign it to a Hearings
15 Examiner, that I would simply handle the
16 administrative and scheduling matters prior to the
17 Board hearing the matter.

18 CHAIRMAN MILES: So I guess my first
19 question then procedurally is: Is that what the
20 Board wants to do, to hear the matter? And I
21 would just add my quick thought on it, not that I
22 want to. But I think I was of the mind originally
23 that this could go to the Hearings Examiner,
24 because I felt that we had made our position clear
25 on the Cumulative Hydrologic Impact Assessment;

1 but after reading this, it seems to me that the
2 alleged deficiencies are quite different. So it
3 probably is appropriate for the Board to hear it,
4 but that's just my thought. Anyone else have
5 comments on that?

6 (No response)

7 CHAIRMAN MILES: Are we prepared to hear
8 it? Not necessarily today, but are we prepared to
9 take this under our jurisdiction?

10 MR. TWEETEN: Madam Chair, I would tend
11 to defer to Counsel's judgment about this matter
12 as well. And just having looked at the volume of
13 materials that's in front of us, it occurs to me
14 that rather than go through a hearing in front of
15 the Hearing Examiner and then another hearing in
16 front of the Board, it might be better just to cut
17 to the chase and have the Board hear it sometime
18 this fall.

19 DR. BYRON: Madam Chair, I agree with
20 Mr. Tweeten, and your thoughts as well.

21 CHAIRMAN MILES: Anyone on the phone
22 have a comment? It appears that the four of us
23 here agree that since it is likely to come before
24 the Board anyway, that we should schedule a
25 hearing. Anyone on the phone?

1 MS. SHROPSHIRE: It's fine with me,
2 Joan.

3 MS. REINHART-LEVINE: Michele. Same.

4 MS. CANTY: Marietta. It's fine with
5 me, but I'll have to recuse myself because it
6 involves coal, so for whatever that's worth.

7 CHAIRMAN MILES: Thanks. We understand
8 that, Marietta. Thank you. Then I guess that
9 being said, if the parties are here and want to
10 comment about an appropriate time for a hearing,
11 we'll take that, we'll listen to you. And I guess
12 my concern is that would we be able to finish our
13 work if we did this in December. So if it is ripe
14 for hearing, we may need to schedule that within
15 the next month or so. Who wants to -- Shiloh.

16 MR. HERNANDEZ: Madam Chair, members of
17 the Board, Shiloh Hernandez with the Western
18 Environmental Law Center, representing the
19 Petitioners in this matter.

20 We share the concern that if this case
21 is heard in December, that there won't be
22 sufficient time for the Board as currently
23 composed to issue a ruling on it by the end of the
24 year. We understand that it is not always the
25 case that Board members are removed immediately on

1 the first of January, that there is some time to
2 choose all of that, but we think that it makes it
3 the easiest for everyone, and avoids any potential
4 change and potential for any political meddling in
5 this. It's an issue that we just want to avoid
6 altogether.

7 We are available in October and
8 November. We really want to be aware and
9 respectful of the Board's schedules, and that this
10 isn't your full-time jobs. We think that it is
11 most important that the Board be fully briefed on
12 the matter before hearing it if that's possible;
13 and if it works with your schedules, we think that
14 the ideal time would be the latter two weeks of
15 October or early November. And that's all I have
16 to say. If you have any questions, I'm happy to
17 respond.

18 CHAIRMAN MILES: Thank you. Is there
19 anyone else representing any of the parties that
20 wishes to comment?

21 MS. CONVERY: Madam Chair, members of
22 the Board, my name is Becky Convery. I represent
23 the Department in this matter.

24 We are not opposed to having a special
25 hearing in late October/early November. Again, we

1 share the same concern that Mr. Hernandez does,
2 and that is the Board have sufficient time to
3 review the volume of materials that have been
4 submitted in this case.

5 However, as an alternative, if a special
6 hearing date cannot be agreed upon or Board
7 members are not available in late October/early
8 November, as a possible alternative, if all the
9 materials have been reviewed and there is a
10 hearing on the 9th, it may be possible to have a
11 follow up telephonic conference for the Board to
12 decide the matter prior to January 1st, if that's
13 appropriate. So we just wanted to offer that as
14 an alternative. Thank you, Madam Chair.

15 MR. MARTIN: Madam Chair, members of the
16 Board, my name is John Martin, and I have the
17 pleasure of representing Western Energy, its Union
18 Local 400, the Cheyenne Miners Association, and
19 Natural Resource Properties. We're the
20 intervenors in this matter.

21 We are amenable, if the Board were to
22 decide that it is appropriate to have a special
23 session, we're certainly amenable and will
24 accommodate. By the same token, I think Ms.
25 Convery's suggestion is something that strikes us

1 as practical. More than anything else, we want to
2 accommodate the Board. We recognize -- to put it
3 in the vernacular -- that you have day jobs, and
4 it is not that easy to pull everybody together,
5 and we appreciate both the expense and the effort.
6 So whatever the Board decides, we are amenable to
7 it.

8 And we do think that the suggestion that
9 was advanced by DEQ is something that strikes us
10 as practical, and something that we'd be willing
11 to join in and make that effort work.

12 Let me add -- just as an offer to
13 perhaps facilitate what folks have suggested --
14 that perhaps the parties could submit proposed
15 findings of fact and conclusions of law in
16 sufficient time to allow the Board to decide the
17 matter, if it is necessary, before early January.
18 Thank you.

19 CHAIRMAN MILES: Thank you. Anyone
20 else?

21 (No response)

22 CHAIRMAN MILES: Board members.

23 MR. O'CONNOR: It seems to me like we
24 usually have a pretty full schedule on the
25 December meeting without trying to squeeze this

1 in. You have more experience than I do on this,
2 Madam Chair, but just a comment here.

3 CHAIRMAN MILES: Chris, you mentioned
4 that maybe a fall time period might be -- I would
5 worry about December frankly. I appreciate the
6 offer to kind of assist us through that, but
7 that's a pretty busy time of year for everyone.
8 And I would worry about whether we could finish
9 our work. It just brings back shades of last
10 year, because I think that we were doing that in
11 December of last year, if I recall, and then
12 meeting in January. So I would hesitate to think
13 that we could actually finish it by the first of
14 the year.

15 So I'm certainly willing to look at a
16 date in October or November. I do have some time
17 constraints. Maybe I'll just throw that out. I
18 would be not be available after the 26th,
19 Wednesday, but I would be available October 24th
20 or 25th, and I am available that very first week
21 in November. The 31st through the 3rd. I would
22 be leaving town on the 4th. But that's just a
23 couple of suggestions there. How do others'
24 schedules look?

25 MR. TWEETEN: Madam Chair, my schedule

1 is quite flexible, but I am available on all of
2 the dates that you have just identified. So any
3 of those five, I guess, dates, five or six dates
4 would be fine with me.

5 MR. O'CONNOR: Madam Chair, probably the
6 1st, 2nd, 3rd of November would work fine for me,
7 as well as the 31st which is Halloween, if that's
8 an appropriate date.

9 CHAIRMAN MILES: Probably the 1st or 2nd
10 would be preferable.

11 DR. BYRON: Madam Chair, those dates
12 work for me, the 31st through the 3rd.

13 CHAIRMAN MILES: Marietta, I know you
14 said you would have to recuse yourself. So Robin,
15 are you still on the phone?

16 MS. SHROPSHIRE: Yes, I'm here.

17 CHAIRMAN MILES: I need to hear from
18 Robin and Michele about the potential for meeting
19 I think the 1st, 2nd, or 3rd of November.

20 MS. REINHART-LEVINE: This is Michele.
21 Works for me.

22 CHAIRMAN MILES: Thank you, Michele.

23 MS. SHROPSHIRE: I need to check my
24 calendar, and unfortunately I just have my phone
25 with me. The 1st, 2nd, or 3rd is a Monday?

1 CHAIRMAN MILES: It is a Tuesday,
2 Wednesday, Thursday. Monday is I think a
3 potential, too. You can let us know.

4 MS. SHROPSHIRE: I think I can get back
5 to you pretty quickly on that, but unfortunately I
6 don't know right now.

7 CHAIRMAN MILES: I guess the next step
8 would be -- Department, is that possible to have
9 the support and the technical assistance we would
10 need to set that up? Is there a preference on any
11 one of those days, the 1st, 2nd, or 3rd?

12 MR. NORTH: I don't think we have a
13 preference on those dates.

14 MR. REED: Madam Chair, if I might
15 interject. What I can simply do is -- I know that
16 this has perhaps caught the Board a bit on its
17 back foot, and what I can simply do is have our
18 office arrange for a date, and telephonically
19 contact all the Board members, and make sure that
20 that specific date and time works for them. We do
21 that pretty routinely for these sorts of matters.

22 CHAIRMAN MILES: Does that sound good to
23 the parties, workable to the parties? And I do
24 appreciate, Mr. Martin, what you had talked about
25 drafting some proposed findings of fact and

1 conclusions of law. I don't know if that's
2 possible to do by November, but if it is, that is
3 certainly helpful to the Board. We have the
4 briefs, and we can be studying that. And it is
5 rather a lot of material. I tried to get through
6 it as best as I could, but certainly wasn't
7 prepared to have a hearing on that today.

8 So I think that would give us an
9 opportunity to work on the materials we have, and
10 then if there would be a possibility of some
11 drafts, FOF, if that's possible, we would
12 appreciate that.

13 MR. HERNANDEZ: Absolutely.

14 MR. TWEETEN: Madam Chair, may I? A
15 plea and then a question.

16 First of all, the last time we had one
17 of these large summary judgment arguments, I
18 requested that the parties try to get together and
19 stipulate to as many of the facts as you can, and
20 not just procedural facts, but substantive facts
21 with respect to the matter as well. I know
22 Western Energy at least has argued that there are
23 material issues of fact that preclude summary
24 judgment, but if we could get some sort of agreed
25 statement of facts from the parties as to

1 everything that is possible for you to agree to,
2 that would certainly make it easier for us to
3 evaluate the appropriateness of this case for
4 summary judgment.

5 Second question. How long do we
6 anticipate this argument is going to take?
7 Certainly not more than one day, I hope.

8 MR. HERNANDEZ: Madam Chair, Mr.
9 Tweeten, we spoke with Mr. Reed about this
10 previously. The parties all agree that we think
11 that thirty minutes for each side to present our
12 arguments should be sufficient, and then any
13 additional time for questioning from the Board.

14 CHAIRMAN MILES: So I think this kind of
15 schedule then would allow us, if we needed, to
16 have an additional call in November or to complete
17 our work at our December meeting. I guess I'll
18 work with the Department on what that agenda is
19 going to look like in December so we have
20 sufficient time to complete this, if it is
21 feasible.

22 MR. NORTH: Madam Chair, I think that
23 given what we know about the December meeting
24 right now, there should be time.

25 CHAIRMAN MILES: Okay. Well, here we

1 go.

2 MR. REED: So I think there will need to
3 be a motion, Madam Chair, to set the matter, or
4 are we --

5 CHAIRMAN MILES: We're going to hear
6 from you about I think the most workable date
7 between the 1st, 2nd, and 3rd, correct? So do we
8 want a general motion that we do work with the
9 Department and with Ben to set up a special
10 meeting to hear this matter? Would that be an
11 appropriate motion?

12 MR. REED: I think that would be
13 sufficient, Madam Chair.

14 MR. TWEETEN: So moved.

15 DR. BYRON: Second.

16 CHAIRMAN MILES: It's moved by Mr.
17 Tweeten, seconded by Rob Byron. Any further
18 discussion?

19 (No response)

20 CHAIRMAN MILES: All in favor, please
21 say aye.

22 (Response)

23 CHAIRMAN MILES: Opposed.

24 (No response)

25 CHAIRMAN MILES: Hearing none, this

1 matter on Western Energy Company Rosebud Strip
2 Mine Area B will be scheduled for early November,
3 date to be determined, and we will hear from Ben
4 as soon as possible about that.

5 MR. REED: Yes, Madam Chair.

6 CHAIRMAN MILES: Thank you, everybody.
7 Action items.

8 MR. REED: Madam Chair, Mr. O'Connor,
9 yes. You'll note that Roman III(A)(1) looks
10 suspiciously similar to an old case. It is and it
11 is not. It has been styled as a new contested
12 case. It's fundamentally the old Signal Peak with
13 a couple of added twists that have to do both with
14 the hydrologic issues that are covered or not
15 covered by the CHIA, as well as the adequacy of
16 the bonding.

17 The petition that's been filed by
18 Western Environment Law Center through Counsel is
19 pretty specific as to what they require. However,
20 many of the issues are very much the same as were
21 covered the last time this was before the Board.

22 CHAIRMAN MILES: So I guess again
23 procedurally, the Department finished the revised
24 CHIA; is that it?

25 MR. REED: Yes, Madam Chair.

1 CHAIRMAN MILES: And then the permit had
2 never been voided, so --

3 MR. REED: I believe that to be the
4 case. Yes, Madam Chair. The work at the site had
5 continued, and there was an assumption that the
6 parties would come to a meeting of the minds as to
7 the effectiveness, general quality, and
8 sufficiency of the CHIA as concerned the permit.

9 CHAIRMAN MILES: So the issue for the
10 Board right now is to decide whether to hear the
11 matter or assign a permanent Hearing Examiner.

12 MR. TWEETEN: Madam Chair, I guess given
13 the amount of time that the Board has spent on
14 this entire matter so far, it wouldn't make much
15 sense to me to refer to a Hearing Examiner. I
16 think we've all done a lot of background work, all
17 of us, so taking it straight to the Board would
18 make the most sense to me.

19 CHAIRMAN MILES: Others?

20 (No response)

21 CHAIRMAN MILES: I think we're in
22 agreement with that. I guess we will not assign a
23 Hearing Examiner. Is that the consensus of the
24 Board? Do we need a motion? I don't think we
25 need a motion to that effect.

1 MR. REED: I don't believe so, Madam
2 Chair. I'll simply handle the logistical and
3 scheduling matters.

4 And then No. 2 speaks for itself. It is
5 a hydroelectric project where 401 certification
6 has been appealed by Missouri Water Keepers.

7 CHAIRMAN MILES: Why does that say that
8 we must assign a Hearing Examiner?

9 MR. NORTH: Madam Chair, members of the
10 Board, John North. This contested case hearing is
11 actually set up by Board rule as opposed to by
12 statute, and the Board rule actually says that the
13 Board shall appoint a Hearing Officer.

14 CHAIRMAN MILES: Thank you. Is there a
15 motion then pursuant to ARM 17.30.109 to assign a
16 Hearing Examiner to this case?

17 MR. TWEETEN: Madam Chair, if the
18 regulation requires it, I don't think we need a
19 motion, do we?

20 CHAIRMAN MILES: If we don't, that's
21 fine.

22 MR. REED: I think the only question is
23 who the Hearing Examiner is to be, and I have time
24 available in my schedule.

25 CHAIRMAN MILES: Are you able to take

1 this on?

2 MR. REED: Yes, Madam Chair.

3 CHAIRMAN MILES: If we don't need a
4 motion, we can proceed with that and proceed with
5 Ben having to take it up. No. 3.

6 MR. REED: Then No. 3 is an appeal of
7 the Open Cut Mining Act by Goran -- there is a
8 minor typo -- in Stillwater County.

9 MS. HOULE: I'm sorry to interrupt, Mr.
10 Reed. That typo was corrected this morning.
11 Thank you for noting that. And it is on the
12 updated agenda.

13 MR. TWEETEN: Corrected in one place and
14 not in another.

15 MR. REED: I was working on these
16 matters at about 10:00 last night, and feeling a
17 little goofy, so I addressed an email to that
18 effect to Ms. Houle.

19 CHAIRMAN MILES: Oh, Goran.

20 MR. REED: Yes, Madam Chair, although
21 believe me, last night I sympathized very much
22 with the inadvertent typographical error.

23 CHAIRMAN MILES: Apologies to Goran.
24 What's the Board pleasure on this item? Are you
25 able to take this as a Hearing Examiner? Will

1 your schedule allow you?

2 MR. REED: Madam Chair, I am and I will.

3 MR. O'CONNOR: I would move that we
4 appoint a Hearing Examiner, specifically Ben to
5 handle this.

6 MR. TWEETEN: I'll second.

7 CHAIRMAN MILES: Any discussion?

8 (No response)

9 CHAIRMAN MILES: All in favor, please
10 say aye.

11 (Response)

12 CHAIRMAN MILES: Opposed.

13 (No response)

14 CHAIRMAN MILES: Thank you, Ben. If
15 you'll take that matter up.

16 MR. REED: Yes, Madam Chair.

17 CHAIRMAN MILES: Initiation of
18 rulemaking. The Department.

19 MR. NORTH: Yes, Madam Chair. With
20 regard to the first one, the RTCR rule package,
21 Tammy Filliator will make a presentation.

22 CHAIRMAN MILES: Thank you.

23 MS. FILLIATOR: Good morning. Madam
24 Chair, members of the Board. My name is Tammy
25 Filliator, and I represent the Public Water Supply

1 Program here at the Montana DEQ.

2 The 1989 Total Coliform Rule, a national
3 primary drinking water regulation, became
4 effective in 1990, and this rule was designed to
5 protect public health by having every public water
6 system in the United States test and meet maximum
7 contaminant levels for coliform bacteria, a group
8 of bacteria that could indicate the presence of
9 pathogenic bacteria in the water supply. This
10 rule was revised in 2013, and is now known as the
11 Revised Total Coliform Rule or RTCR.

12 The RTCR became effective under Federal
13 jurisdiction on April 1st of this year. DEQ
14 implemented the rule under EPA authority. This
15 means that while DEQ implemented and runs
16 compliance for the rule, EPA has primary
17 enforcement responsibility. In order to gain
18 primary enforcement responsibility for the State,
19 called primacy, the Department needs to propose
20 and write rules to incorporate the RTCR into
21 Montana's Administrative Rule.

22 While adopting the RTCR, the Department
23 requests to adopt the 2015 Code of Federal
24 Regulations and several housekeeping items. Last
25 April we presented an overview of the RTCR to the

1 Board. Today we have a slightly more detailed
2 overview of the rule package to share.

3 During the rule writing process, the
4 Department worked with the Public Water Supply
5 Focus Group. After we drafted the proposed rules,
6 the Department sent a copy to the EPA. We heard
7 back from them. We also sent postcards with
8 information concerning the rule package to all
9 public water supply certified operators,
10 administrative contacts, and we also sent that
11 rule package to the public water supply interested
12 parties list.

13 Based on feedback from this outreach,
14 the Department does not expect this rule package
15 to be controversial. Basically we received two
16 comments, informal comments. The Department
17 recommends initiation of rulemaking and
18 appointment of a Hearing Officer for a public
19 hearing.

20 So I'd now like to go through a slightly
21 more detailed overview of the rule package using
22 the power point presentation.

23 CHAIRMAN MILES: Excuse me just one
24 second. So we do have the full -- that was one of
25 the items included, the full document to initiate

1 rulemaking in our packets?

2 MS. FILLIATOR: Yes, Madam Chair.

3 CHAIRMAN MILES: We'll move around so we
4 can listen. I think we were given a summary of
5 the changes here in this hand-out.

6 MS. FILLIATOR: Yes, Madam Chair. That
7 I'll talk about at the end, if that's all right.

8 MS. HOULE: Madam Chair, members of the
9 Board, those of you joining telephonically, there
10 was an email sent out this morning. We do
11 apologize for the short notice on that, but you
12 should have received it via attachment in an
13 email.

14 CHAIRMAN MILES: You did send out the
15 power point a few days ago.

16 MS. HOULE: Madam Chair, that is
17 correct. I sent out the power point, and then
18 this morning the technical changes packet was sent
19 out this morning. Just for those joining on the
20 phone so you can access it. Thank you.

21 MS. FILLIATOR: So in terms of an
22 outline of the talk, I'd like to go through the
23 rule package. I'm going to start with the
24 earliest ARM and work my way through. I'm going
25 to emphasize the major changes, and I'm also going

1 to emphasize the 1989 Total Coliform Rule which we
2 operated under through the beginning of this year,
3 and then compare that to this new rule that was
4 implemented April 1st.

5 So it was implemented under EPA
6 authority in April 2016, and then at the end --
7 you can interrupt me at any time for questions,
8 but of course at the end we'll have time for
9 questions, too.

10 So 17.38.104, this is one of the changes
11 that is not related to the RTCR. In 17.38.104, we
12 talk about something called significant
13 deficiencies, and the key here is that a
14 significant deficiency is a defect, a failure, or
15 a malfunction of a public water supply system that
16 can either cause introduction of contamination
17 into a drinking water supply, or potentially can
18 cause that contamination.

19 And what we would like to do with this
20 rule package is clarify that when we look at
21 isolating these sources of contamination or
22 potential sources, that there are factors and
23 conditions that can hinder that determination, and
24 we need to make sure that we're not hindering the
25 process.

1 And so specifically here includes a wide
2 variety of things, but in the rule we've
3 designated we need to have proper sampling
4 locations, and proper sampling taps. That way if
5 we're trying to determine the source of a
6 contamination, we can do that more easily. And so
7 this rule change would give the Department express
8 authority to ensure that the necessary practices
9 and conditions are in play so that we can track
10 sources of contamination.

11 17.38.202. This is the ARM where we
12 adopt Federal definitions, and in the RTCR, there
13 are a total of five definitions that are included
14 in the Federal rule package. We are suggesting we
15 adopt four of those definitions. We're suggesting
16 not to adopt the term "clean compliance history,"
17 and that is because that particular term, when we
18 look at the definition, it conflicts with one of
19 our ARMs, specifically 17.38.215, that implies the
20 use of that term. And so the terms are defined on
21 the next slide.

22 Before we go to the next slide, there is
23 a difference between Federal rule and Montana
24 rule, and we have to be able to understand that to
25 understand clean compliance history, and where it

1 kind of fits into this rule package.

2 So for the Federal rule, there are
3 specific systems, and they're ground water systems
4 that are non-community serving less than or equal
5 to 1,000 people. Under Federal rule, those
6 systems are starting on quarterly monitoring. If
7 they're triggered, say they have an E. coli hit,
8 they then go to monthly monitoring. They then
9 have the ability through Federal rule to qualify
10 for quarterly monitoring once again.

11 Montana rule, these very same systems
12 start out on monthly monitoring, and I'll talk
13 more about that here in a couple of slides. So
14 slightly different than the Federal. We have
15 these small systems. They're using ground water.
16 They start on monthly monitoring. They go through
17 a process with the Department to qualify for
18 quarterly. And then just like the Federal rules,
19 they can be triggered to return to monthly, for
20 example E. coli positives. And then after they
21 fix the problem, they can reapply and requalify
22 for that quarterly monitoring.

23 So this next slide. So two things going
24 on. First of all, in Montana, they're applying
25 for quarterly monitoring, and then if they get

1 bumped off of quarterly, they can reapply later.

2 And so at the top of this slide, when a
3 system applies for quarterly monitoring, they need
4 to have satisfactory total coliform test results
5 for 24 months, no MCL exceedences, monitoring
6 violations, or treatment technique violations.

7 And that is the policy we have in place to
8 originally apply for quarterly.

9 If we look at reapplying for quarterly
10 monitoring -- and I pulled this verbiage from the
11 Federal rule -- to reapply in the State of
12 Montana, a record of no MCL violations, no
13 monitoring violations, no coliform treatment
14 technique triggers exceedences, or treatment
15 technique violations.

16 And so to make it very clear that we
17 have these two different steps in the process, and
18 also that there is some overlap between the two,
19 we're suggesting we do not adopt that definition.

20 CHAIRMAN MILES: The clean compliance
21 history definition you're talking about?

22 MS. FILLIATOR: Yes, the clean
23 compliance history definition, Madam Chair.

24 CHAIRMAN MILES: And that doesn't put us
25 out of sync with what the Federal rule requires

1 because of what you're able to do here.

2 MS. FILLIATOR: So I did submit this
3 proposed rule package to the EPA, and we received
4 comments back. They were okay with this portion.

5 CHAIRMAN MILES: Thank you.

6 MS. FILLIATOR: So 17.38.211. I have a
7 discretion sign in the corner because this is a
8 point in the Federal rule package where the State
9 of Montana can make choices. And so this
10 particular choice deals with something called dual
11 sampling, and if we look at the 1989 Total
12 Coliform Rule, you could adopt dual sampling, and
13 the State of Montana did do so. Specifically dual
14 samples could be used by ground water systems
15 serving 1,000 or fewer people.

16 With the Revised Total Coliform Rule,
17 we're proposing to not adopt dual sampling. And
18 when we look at the RTCR, only systems that have a
19 single ground water well serving fewer than or
20 equal to 1,000 people would even be eligible. So
21 right off the bat, if we did adopt it, we have
22 approximately a third of the systems that wouldn't
23 qualify because they have two wells, two ground
24 water wells.

25 And big picture-wise, I can go into as

1 much detail as you'd like, but if we look at the
2 1989 TCR, these systems that we're dealing with
3 here, 1989 TCR, if they collected a monthly
4 sample, it came back positive, under the 1989 TCR,
5 they would collect four additional samples the
6 same month.

7 With the Revised Total Coliform Rule,
8 even if we do not adopt this dual sampling due to
9 changes in the rules, these systems still only
10 collect four samples after a total coliform
11 positive. And so the system is not spending
12 additional money, even though we're not adopting
13 dual sampling, but what it does do for the
14 Department and the system is that it allows us to
15 hopefully track down the source of contamination
16 more quickly.

17 17.38.215 is probably the most complex
18 portion of the rule package. I want to focus on
19 three different line items here. The first I'll
20 talk about are seasonal systems.

21 Under the 1989 Total Coliform Rule,
22 there were no requirements for seasonal systems,
23 and so this is actually a really big change.
24 Under the RTCR, seasonal systems are required to
25 perform and document a start-up procedure. And

1 this first portion of the slide is mandatory, and
2 so performing the start-up procedure, documenting
3 it, and then returning paperwork to the State is
4 mandatory.

5 And as part of the procedure, the system
6 -- So they've closed for the season; they've
7 depressurized the system. Next year they're going
8 to flush stagnant water from the pipes, inspect
9 all their equipment, check their chemicals, make
10 sure everything looks good before they open for
11 the season.

12 The testing of a sample of water is at
13 State discretion, and we would like to adopt that.
14 And so after they've gone through their
15 inspection, they've checked all their chemicals,
16 the last step would be that they collect a sample,
17 test it for total coliform. If that comes back,
18 the test results are good, they're okay to open
19 for the season.

20 The alternative would be that they do
21 not test for total coliforms. They open for the
22 season. Their first routine sample is a hit, and
23 at that point, that can trigger additional
24 activities that can cost money and take time later
25 on in the process. So this is at State discretion

1 however.

2 Now we look at coliform monitoring
3 frequency. This slide I have the different system
4 types. And the Federal rule has a routine
5 coliform monitoring frequency, and that's in the
6 middle column. And what I've done here is in the
7 middle column is the Federal language, and then
8 the column on the right is what Montana is doing.
9 And so as we go down, you can see the word "no"
10 there, and that's what I'd like to focus on.

11 And so in 1993, we had a set of systems,
12 ground water systems, non-community, transient
13 systems serving fewer or equal to 1,000 people,
14 and these systems were actually on quarterly
15 monitoring. And the Department went through, and
16 they switched from quarterly to monthly, and that
17 went through the Board of Environmental Review at
18 that time. And so these systems then were on
19 monthly.

20 In 1998, the Department decided to
21 return to that quarterly because that's what the
22 Federal regulations stated that they can do, and
23 it was actually part of an official rule writing
24 process; and county sanitarians, public health
25 professionals, water professionals, they all came

1 together, and they made a series of comments
2 during the official rule writing process, and
3 said, "No, we'd rather not do this. We think it
4 is better for these systems to stay on monthly
5 monitoring, and if they have a clean -- and if
6 they don't have any total coliform hits, and
7 they're doing what they're supposed to be doing,
8 then they can qualify for quarterly."

9 But as a result of that process, these
10 systems went to the starting point of monthly
11 monitoring, and so that's why I have a star here.
12 And then I mentioned that it is MAR Notice 17-089,
13 and it kind of details part of this process and
14 the comments that were received, and it actually
15 worked out well. The Board said that these
16 individuals could sit down with the Department,
17 and they could come up with a set of guidelines.
18 So we start with monthly. Here is how you qualify
19 for quarterly. So right now then, these systems
20 are testing monthly.

21 Now, this table is also set up in the
22 same way, and these are all at State discretion.
23 And so under the EPA guidelines, we can reduce
24 monitoring for the systems that are listed.
25 However, in the State of Montana we're proposing

1 not to do that.

2 When the Federal rules were written they
3 were written for all 50 states, and it is hard to
4 take all of those states and stick them into one
5 set of monitoring schedules and reduced monitoring
6 frequency schedules. For the State of Montana,
7 we're suggesting that we do not reduce the
8 monitoring except for those ground water systems
9 that are transient and non-seasonal. And then
10 they were suggesting that they can qualify for
11 quarterly monitoring.

12 And so here is a summary slide, and what
13 I wanted to do is give you an idea of how things
14 changed. And so once again, these rules have been
15 implemented as of April 1st. And so we compare
16 the 1989 TCR and the RTCR, the baseline for all
17 systems prior to April monitoring monthly,
18 currently monitor monthly.

19 The major change is with these seasonal
20 systems. So I've divided -- if you'll look at the
21 last two rows. I've separated seasonal transient
22 systems from non-seasonal transient systems, and
23 that's because when we look at those seasonal
24 systems, they are no longer going to be able to
25 qualify for quarterly monitoring. And so they're

1 only open a couple months of the season. Things
2 can change quickly. We think it is a good idea
3 that they monitor monthly.

4 However, if we go to the last row, our
5 non-seasonal systems under the 1989 TCR, they
6 could qualify for quarterly monitoring. Under the
7 RTCR they still can. And if they're already on
8 quarterly monitoring, they've stayed on quarterly
9 monitoring, unless they were triggered due to an
10 E. coli positive or something like that.

11 So when we look at the RTCR, there is a
12 really big change in terms of what happens after a
13 system collects a routine sample and it comes back
14 positive. Under the 1989 Total Coliform Rule,
15 small systems, if they got a hit, a positive
16 coliform test result, they would collect five
17 temporary routines the following month. So if
18 they sample this month, they get a positive, next
19 month they collect five temporary routines.

20 Under the RTCR, it is very forward
21 thinking, and the idea is to concentrate on find
22 and fix. So instead of just testing until your
23 results come back negative, instead we trigger
24 what's called Level 1 and Level 2 assessments. So
25 there really is this emphasis on, "You have a

1 positive coliform sample. Let's find out why.
2 And if we find out why, let's fix the problem so
3 that it doesn't happen again." And so under the
4 RTCR, if a system gets a hit, a total coliform
5 positive sample, they trigger one of these
6 assessments.

7 And the first type I'll talk about is a
8 Level 1 assessment, and so the first way that you
9 can trigger a Level 1 is that for a small system,
10 they have two or more total coliform samples in
11 the same month. For a large system, they have to
12 hit the 5 percent mark, so 5 percent of their
13 samples are total coliform positive. And then the
14 other way that a Level 1 assessment is triggered
15 is that a system has their routine sample, it
16 comes back positive, they do not collect their
17 repeat.

18 And so with this Level 1, the public
19 water system itself will actually go through a
20 check sheet that we have, and what they do is they
21 star where they collected the sample that came
22 back positive, and they'll look at their sampling
23 techniques, they'll look at changes in the
24 distribution system, they'll look at the source,
25 they'll look at fire flow. Maybe there was a lot

1 of water flowing that day, and that changed the
2 hydraulics in the system.

3 But the idea is to look at everything,
4 from source, through treatment, distribution,
5 storage, to try to figure out what caused that
6 positive. And in some cases you don't know, but
7 the system goes through, they make their best
8 effort, they have a check sheet. And then this is
9 mandatory with the Revised Total Coliform Rule.

10 The Level 2 is similar in that there are
11 specific triggers. One trigger is that a system
12 has E. coli hits in the system, and they have an
13 MCL violation. Also if they have a second Level 1
14 trigger within a rolling twelve month period, that
15 triggers a Level 2.

16 And with this, the DEQ personnel field
17 staff will go out onsite, and they'll go through
18 the entire system, so very similar to what the
19 system is doing during a Level 1. The big
20 difference is that now that we either have E. coli
21 in the system and we know it for sure, or we've
22 got another Level 1, we have total coliform hits
23 more than one time in a rolling twelve month
24 period.

25 So we know something is going on. A DEQ

1 field staff person can go out, and a new set of
2 eyes, look at the data, and once again, very
3 extensive. We've started doing these, and
4 sometimes it takes an hour or two for smaller
5 systems. For a larger system, it can take half a
6 day or a full day. But once again, the emphasis
7 is on we're going to go out, try to find the
8 problem, and then it needs to be fixed.

9 And so in terms of fixing it, it could
10 be as easy as training an operator on how to
11 correctly collect a sample. It could be that a
12 storage tank needs to be flushed, and the public
13 water system will need to go through that
14 procedure.

15 And I have two signs here. Level 2's
16 are mandatory when we look at the RTCR. The
17 portion that's at State discretion is who
18 completes it, and so we're proposing that the DEQ
19 field staff personnel actually go out onsite and
20 perform that Level 2. And it is free of charge to
21 the system. We schedule it with them, and then go
22 through everything from source, distribution,
23 treatment, everything, trying to track down what's
24 going on. And then they'll have a period of time
25 where they can either fix what we find, or have a

1 schedule together to fix what we find.

2 So that leads me to the technical
3 changes, and that is the sheet that was sent out
4 this morning or yesterday, and the new public
5 water supply attorney is going to address those.

6 MR. PETTIS: Madam Chair, members of the
7 Board, Aaron Pettis. I'm an attorney here at DEQ.

8 We have gone through the rule notice,
9 and have conducted a technical review of it to
10 check the citations and things like that. We
11 discovered a few citation errors, a couple typos,
12 a couple quotations that needed to be fixed. So I
13 have provided you with an excerpt of the rule
14 notice that contains those changes. And then I
15 went through and highlighted the changes that we
16 made, crossing out the things that we omitted, and
17 then showing the stuff that we've added in there.

18 These are just to clarify typos and to
19 clarify citations to make sure that we correctly
20 adopt the parts of the CFR that we intended to do
21 all along.

22 I can go through these and explain why
23 we did them if you want, or what the changes do.
24 I think they're all pretty self-explanatory. We
25 would ask that if you do initiate rulemaking, that

1 you do so with these approved changes.

2 CHAIRMAN MILES: Would those be
3 incorporated into the rule notice that we were
4 given?

5 MR. PETTIS: Yes.

6 CHAIRMAN MILES: I don't think we need
7 to go through them if they're mostly technical.
8 Thank you. Are there any questions from the Board
9 members?

10 (No response)

11 CHAIRMAN MILES: Tammy, I had one
12 question, before you get away. Actually I
13 apologize. I don't think this really pertains to
14 the changes you're proposing, which I think are
15 great. I'm just curious.

16 Particularly for seasonal systems, how
17 do they connect to -- not literally -- but
18 disposal systems, septic systems? Which is often
19 I think the case for seasonal systems. Before
20 they're allowed to start operating, do you oversee
21 that? Does the Department oversee that? How does
22 that connect?

23 MS. FILLIATOR: Madam Chair, can John
24 Dilliard come forward and answer this?

25 CHAIRMAN MILES: Sure. Absolutely.

1 MR. DILLIARD: Madam Chair, John
2 Dilliard with the Public Water Supply Bureau.

3 Yes, we do. If they're a public water
4 supply, then chances are they're also a public
5 sewer system, public wastewater system, so we
6 would have the authority to review the system,
7 approve its design and its construction. So that
8 would be kind of the monitoring that we would do
9 on the front end of that.

10 We don't really have ongoing regulations
11 for wastewater, small subsurface wastewater
12 systems, but those are always something that we
13 look at during an inspection just to make sure we
14 don't see problems.

15 CHAIRMAN MILES: And if you see
16 violations or if you see excessive coliform
17 counts, do you take a look at the wastewater
18 systems?

19 MR. DILLIARD: The wastewater system
20 would always be something that we would keep in
21 mind if we're seeing a problem with the water
22 system. Sometimes it is just nearly impossible to
23 make that link, but if we could find some way to
24 specifically find or identify that the wastewater
25 system is the problem, we could require that it be

1 moved, replaced, whatever would be needed to
2 correct it.

3 CHAIRMAN MILES: Okay. Thank you. Any
4 other questions?

5 MS. SHROPSHIRE: I'm just curious if any
6 of the changes would require any budgetary changes
7 for the Department, extra resources, or anything
8 like that.

9 CHAIRMAN MILES: John Dilliard is coming
10 back up. So thank you, Robin.

11 MR. DILLIARD: Madam Chair, Robin.
12 Actually no, they won't. We are going to operate
13 all of the new changes, the new RTCR rule, within
14 our existing resources. So we won't need any
15 additional at this time to implement any of this.
16 Did that answer your question?

17 MS. SHROPSHIRE: Yes, it does. Great.
18 Thank you.

19 CHAIRMAN MILES: Mr. Tweeten.

20 MR. TWEETEN: I should know the answer
21 to this, but I don't, so I'm not sure which one of
22 you can answer, but what's the definition of a
23 seasonal system?

24 MS. FILLIATOR: If you give me just a
25 moment, I can actually read the definition. But

1 in general, it is a system that is only open and
2 operating part of the year. And what they'll do
3 -- like a ski resort, a campground -- and so for
4 part of the year, they'll actually depressurize
5 the system, so all of the water will drain out,
6 and then they'll start at the beginning of the
7 next season.

8 MR. TWEETEN: So it wouldn't cover a
9 situation where you've got ten connections, and
10 one of them stays open during the winter for a
11 caretaker cabin or something like that? That
12 would not be a seasonal system?

13 MS. FILLIATOR: So with the definition,
14 it's non-community, not operated as a public water
15 supply system on a year around basis. And so if
16 there is a connection that's active, it is not
17 considered seasonal.

18 MR. TWEETEN: Thank you.

19 CHAIRMAN MILES: Any other questions?

20 (No response)

21 CHAIRMAN MILES: I think at this point
22 we ask if there is any comments from the public in
23 regard to initiation for rulemaking for this
24 matter.

25 (No response)

1 CHAIRMAN MILES: Seeing none, is there a
2 motion from the Board to initiate rulemaking to
3 adopt the new Federal Revised Total Coliform Rule,
4 with the technical changes that were presented?

5 DR. BYRON: Madam Chair, so moved.

6 MR. NORTH: Madam Chair, and with the
7 appointment of a Hearing Officer, too.

8 CHAIRMAN MILES: With the appointment of
9 a Hearing Officer.

10 MR. O'CONNOR: I will second the motion.

11 CHAIRMAN MILES: It's been moved and
12 seconded. Any discussion?

13 (No response)

14 CHAIRMAN MILES: All in favor, please
15 say aye.

16 (Response)

17 CHAIRMAN MILES: Opposed.

18 (No response)

19 CHAIRMAN MILES: Thank you. Motion
20 passes. Thank you very much for that thorough
21 explanation of that, and good luck with that
22 process.

23 John, is the next one the Department?

24 MR. NORTH: Yes, Madam Chair. It is an
25 incorporation by reference air quality, Federal

1 air quality rules, and Rebecca Harbage will make
2 the presentation.

3 MS. HARBAGE: Madam Chair, members of
4 the Board, for the record, Rebecca Harbage. I'm
5 representing the Department's Air Quality Bureau
6 this morning.

7 And I am here today just to ask that the
8 Board adopt rulemaking to incorporate by reference
9 up to date editions of Federal and State air
10 quality statutes, rules, and regulations into the
11 Administrative Rules of Montana. This is an
12 annual rulemaking that the Bureau does to ensure
13 that Montana's air quality rules are at least as
14 stringent as Federal regulations, which allows
15 Montana to continue to have administrative
16 authority to implement and enforce Federal
17 emission standards.

18 The Board initiated rulemaking on this
19 on June 3rd of this year, and no comments were
20 received during the public notice period. The
21 Department requests today that the Board adopt the
22 rules as proposed, along with the Department's
23 stringency and takings analyses which are included
24 in your packets. I'm available for any questions
25 if you have them. Thank you.

1 CHAIRMAN MILES: So this is final
2 adoption today? This has gone through the whole
3 process?

4 MS. HARBAGE: Yes, Madam Chair, it has.

5 CHAIRMAN MILES: We have in our packets
6 -- Do we have the stringency information in here?

7 MS. HARBAGE: I believe so.

8 CHAIRMAN MILES: I might just be looking
9 at the wrong document. There were a lot of
10 documents to download.

11 MS. HOULE: Madam Chair, it is my
12 understanding that the stringency should have been
13 included in the Adobe file. If you can connect to
14 the website, the Board's website, it will be Item
15 No. III(c)(1).

16 CHAIRMAN MILES: I have it here. I'm
17 sorry. Yes. I've got it. Thank you. Is there
18 any questions?

19 (No response)

20 CHAIRMAN MILES: Any comments from the
21 public?

22 (No response)

23 CHAIRMAN MILES: Is there a motion from
24 the Board to amend ARM 17.8.102 to incorporate by
25 reference updated Federal and State statutes and

1 regulations, and to amend ARM 17.8.103 to update
2 references stating where the documents may be
3 obtained electronically? Is there a motion to
4 that effect?

5 MR. O'CONNOR: I would so move.

6 CHAIRMAN MILES: Thank you. Is there a
7 second?

8 DR. BYRON: Second.

9 CHAIRMAN MILES: Any further discussion?

10 (No response)

11 CHAIRMAN MILES: All in favor, please
12 say aye.

13 (Response)

14 CHAIRMAN MILES: Thank you. Anyone
15 opposed?

16 (No response)

17 CHAIRMAN MILES: Motion carries
18 unanimously. Thank you. It is always nice to get
19 that finally concluded.

20 Other action items? Anything from the
21 Board or the Department?

22 MR. NORTH: None.

23 CHAIRMAN MILES: Any final action on
24 contested cases? You have that one order that you
25 talked about.

1 MR. REED: Yes, Madam Chair.

2 CHAIRMAN MILES: I'm not holding a
3 hearing today.

4 General public comment. Are there any
5 matters that anyone in the room would like to
6 comment on?

7 (No response)

8 CHAIRMAN MILES: Hearing none, when does
9 the Department work on putting together the 2017
10 meeting schedule?

11 MR. NORTH: Normally, Madam Chair, that
12 goes to the Board in December. That's what we
13 intend to do is to propose a schedule.

14 CHAIRMAN MILES: Any other matters to
15 discuss?

16 (No response)

17 MR. TWEETEN: Madam Chair, I move we
18 adjourn.

19 CHAIRMAN MILES: Can I say one thing
20 before you do that?

21 MR. TWEETEN: Withdraw my motion.

22 CHAIRMAN MILES: I did want to just
23 re-emphasize what you said just to Ben about
24 finding as much agreement as possible with the
25 parties on the WECO case to stipulate to as many

1 facts as possible. I think that would really
2 assist us. If you can work with the parties on
3 that. I think that was a very important point.

4 MR. REED: Yes, Madam Chair. I'll issue
5 an order, and get as much common ground prior to
6 the hearing, and then post the hearing, as
7 possible.

8 The one thing that Mr. Martin suggested
9 with developing findings of fact and conclusions
10 of law is something that I'm somewhat hesitant to
11 engage in, simply because it ends up requiring a
12 bit more from the Board, inasmuch as if findings
13 of fact are advanced by a party but not adopted by
14 the Board, then the Board may need to --

15 MR. TWEETEN: -- rule on each one.

16 MR. REED: Yes, although I'm not sure if
17 that's absolutely true in a summary judgment
18 hearing.

19 CHAIRMAN MILES: We had to deal with
20 that last time.

21 MR. REED: I think that would only be
22 the case if -- I have to stare at that a little
23 bit harder, Madam Chair.

24 CHAIRMAN MILES: And then maybe the more
25 important item is stipulating to the facts. And

1 so you could have those discussions with the
2 parties, since they're not here. That may be a
3 better approach than proposing draft findings of
4 fact.

5 MR. REED: Yes, Madam Chair.

6 MR. TWEETEN: Madam Chair, I guess I'd
7 go back to what I said the last time we faced this
8 issue, which is that technically under Rule 56,
9 the moving party is supposed to provide a list of
10 uncontested facts along with their motion, and I
11 don't see where the moving party has done that in
12 this particular motion. It is summary judgment,
13 so findings of facts is really anomalous anyway.
14 We're not supposed to find facts. We are only
15 supposed to determine whether there are
16 uncontested facts or whether there is a material
17 issue, a genuine issue of material fact under the
18 rules.

19 So I don't think we need proposed
20 findings of fact prehearing in order to do this,
21 as long as the parties take seriously our request
22 that they come up with an uncontested statement of
23 facts.

24 MR. REED: Yes, Mr. Tweeten. I think
25 that's exactly right.

1 CHAIRMAN MILES: Thank you. If you'd
2 convey to the parties, because that's a little
3 different from I think what I said during the
4 meeting. I agree with that.

5 MR. REED: Yes, Madam Chair, I shall.

6 CHAIRMAN MILES: Anything else?

7 (No response)

8 MR. TWEETEN: Now I'll move we adjourn.

9 CHAIRMAN MILES: All in favor, please
10 say aye.

11 (Response)

12 CHAIRMAN MILES: Meeting adjourned.

13 Thank you very much.

14 (The proceedings were concluded

15 at 10:22 a.m.)

16 * * * * *

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

STATE OF MONTANA)

: SS.

COUNTY OF LEWIS & CLARK)

I, LAURIE CRUTCHER, RPR, Court Reporter,
Notary Public in and for the County of Lewis &
Clark, State of Montana, do hereby certify:

That the proceedings were taken before me at
the time and place herein named; that the
proceedings were reported by me in shorthand and
transcribed using computer-aided transcription,
and that the foregoing - 60 - pages contain a true
record of the proceedings to the best of my
ability.

IN WITNESS WHEREOF, I have hereunto set my
hand and affixed my notarial seal
this _____ day of _____, 2016.

LAURIE CRUTCHER, RPR
Court Reporter - Notary Public
My commission expires
March 9, 2020.

<u>0</u>	<u>2</u>	<u>6</u>	address [4] - 9:24, 12:14, 12:21, 48:5	40:20	[3] - 32:18, 53:7, 53:8
006 5:6	2 [6] - 5:4, 28:4, 44:24, 46:10, 46:15, 47:20	60 61:12 66's 5:5	addressed 29:17	although [2] - 29:20, 58:16	appreciate [4] - 19:5, 20:5, 22:24, 23:12
<u>1</u>	2's 47:15	<u>7</u>	addressing 9:11	altogether 17:6	approach 59:3
1 [8] - 44:24, 45:8, 45:9, 45:14, 45:18, 46:13, 46:19, 46:22	2009 11:1	75 10:13	adequacy 26:15	Aluminum 5:8	appropriate [8] - 12:18, 12:21, 15:3, 16:10, 18:13, 18:22, 21:8, 25:11
1,000 [4] - 36:5, 38:15, 38:20, 41:13	2013 31:10	<u>9</u>	adjourn [2] - 57:18, 60:8	amend [2] - 55:24, 56:1	appropriateness 24:3
1-A-1 3:13	2015 31:23	9 61:22	adjourned 60:12	amount [2] - 12:17, 27:13	appropriation [2] - 10:17, 10:20
100 11:6	2016 [5] - 1:6, 1:13, 10:10, 34:6, 61:17	9:00 1:14	administrative [5] - 14:16, 31:21, 32:10, 54:11, 54:15	ample 13:2	approve [4] - 3:10, 3:14, 3:24, 50:7
10:00 29:16	2016-03 12:5	9th [2] - 13:24, 18:10	Adobe 55:13	analyses 54:23	approved 49:1
10:22 60:15	2017 [3] - 11:16, 11:20, 57:9	<u>A</u>	adopt [15] - 3:15, 31:23, 35:12, 35:15, 35:16, 37:19, 38:12, 38:17, 38:21, 39:8, 40:13, 48:20, 53:3, 54:8, 54:21	Analysis 10:2	approximately [2] - 10:13, 38:22
111 1:10	2020 61:22	A(1)(b 4:18	adopted 58:13	announce 2:10	April [6] - 31:13, 31:25, 34:4, 34:6, 43:15, 43:17
1520 1:11	24 37:5	a.m [2] - 1:14, 60:15	adopting [2] - 31:22, 39:12	annual 54:12	aren't 11:6
17-089 42:12	24th 20:19	Aaron 48:7	adoption 55:2	annually 10:6	argued 23:22
17.30.109	25th 20:20	ability [2] - 36:9, 61:14	advanced [2] - 19:9, 58:13	anomalous 59:13	argument [2] - 6:2, 24:6
28:15	26th 20:18	able [10] - 5:10, 11:15, 13:3, 13:17, 16:12, 28:25, 29:25, 35:24, 38:1, 43:24	Advisory 11:9	answered 3:5	arguments [3] - 5:17, 23:17, 24:12
17.38.104	2nd [6] - 21:6, 21:9, 21:19, 21:25, 22:11, 25:7	absent 12:17	affixed 61:16	anticipate [7] - 4:25, 5:1, 5:13, 5:19, 11:14, 11:18, 24:6	ARM [6] - 10:4, 28:15, 33:24, 35:11, 55:24, 56:1
[2] - 34:10, 34:11	<u>3</u>	absolutely [4] - 9:12, 23:13, 49:25, 58:17	agenda [2] - 24:18, 29:12	anticipated [2] - 10:7, 11:20	ARMs 35:19
17.38.202	3 [2] - 29:5, 29:6	access 33:20	agree [5] - 15:19, 15:23, 24:1, 24:10, 60:4	anyway [2] - 15:24, 59:13	arrange 22:18
35:11	30 [2] - 1:6, 1:13	accommodate [2] - 18:24, 19:2	agreed [2] - 18:6, 23:24	Apologies 29:23	arsenic 5:6
17.38.211	30th 5:2	according 6:4	agreement [3] - 9:5, 27:22, 57:24	apologize [3] - 3:11, 33:11, 49:13	asking 7:9
38:6	31st [3] - 20:21, 21:7, 21:12	accounting 13:4	ahead 6:16	apparently 9:16	assessment [3] - 14:25, 45:8, 45:14
17.38.215	3rd [8] - 20:21, 21:6, 21:12, 21:19, 21:25, 22:11, 25:7, 54:19	Act [5] - 4:24, 7:8, 8:17, 11:9, 29:7	alleged 15:2	appeal [4] - 5:5, 7:7, 8:7, 29:6	assessments [2] - 44:24, 45:6
[2] - 35:19, 39:17	<u>4</u>	action [3] - 26:7, 56:20, 56:23	allow [3] - 19:16, 24:15, 30:1	appealed [3] - 14:6, 14:12, 28:6	assign [6] - 14:3, 14:14, 27:11, 27:22, 28:8, 28:15
17.8.102	400 18:18	active 52:16	allowed 49:20	appears 15:22	assigned [2] - 6:8, 7:17
55:24	401 28:5	activities 40:24	allows [2] - 39:14, 54:14	application 6:1	assist [2] -
17.8.103	4th 20:22	add [2] - 14:21, 19:12	already 44:7	applications 10:16	
56:1	<u>5</u>	added [2] - 26:13, 48:17	alternative [4] - 18:5, 18:8, 18:14,	applies 37:3	
17.8.510	5 [2] - 45:12, 45:12	additional [6] - 24:13, 24:16, 39:5, 39:12, 40:23, 51:15	18:8, 18:14,	applying 36:24	
10:5	50 43:3			appoint [2] - 28:13, 30:4	
17th 5:7	56 59:8			appointment	
1989 [10] - 31:2, 34:1, 38:11, 39:2, 39:3, 39:4, 39:21, 43:16, 44:5, 44:14	5th 3:10				

20:6, 58:2 assistance 22:9 Association 18:18 assume 12:11 assumption 27:5 attachment 33:12 attendance [3] - 2:9, 6:10, 13:20 attorney [4] - 8:1, 8:5, 48:5, 48:7 August 3:10 authority [5] - 31:14, 34:6, 35:8, 50:6, 54:16 available [8] - 17:7, 18:7, 20:18, 20:19, 20:20, 21:1, 28:24, 54:24 Avenue 1:11 avoid 17:5 avoids 17:3 aye [6] - 4:4, 25:21, 30:10, 53:15, 56:12, 60:10	29:5, 30:4, 30:14, 57:23 BER 12:5 best [3] - 23:6, 46:7, 61:13 better [3] - 15:16, 42:4, 59:3 bit [6] - 6:24, 12:13, 13:7, 22:16, 58:12, 58:23 Board [87] - 1:1, 1:5, 1:19, 2:10, 2:13, 2:15, 2:17, 2:19, 2:22, 2:25, 6:10, 6:19, 7:13, 7:21, 9:11, 9:24, 10:1, 10:6, 10:18, 11:19, 12:3, 12:9, 12:11, 12:16, 12:21, 12:23, 12:25, 13:2, 13:8, 13:11, 13:21, 14:6, 14:10, 14:13, 14:14, 14:17, 14:20, 15:3, 15:16, 15:17, 15:24, 16:17, 16:22, 16:25, 17:11, 17:22, 18:2, 18:6, 18:11, 18:16, 18:21, 19:2, 19:6, 19:16, 19:22, 22:16, 22:19, 23:3, 24:13, 26:21, 27:10, 27:13, 27:17, 27:24, 28:10, 28:11, 28:12, 28:13, 29:24, 30:24, 32:1, 33:9, 41:17, 42:15, 48:7, 49:8, 53:2, 54:4, 54:8, 54:18, 54:21, 55:24, 56:21, 57:12, 58:12, 58:14, 58:14 Board's [3] - 13:15, 17:9,	55:14 bonding 26:16 briefed [2] - 12:7, 17:11 briefing [4] - 4:19, 7:25, 8:2, 9:19 briefly [2] - 8:12, 12:3 briefs [2] - 6:2, 23:4 bringing 11:18 brings 20:9 budgetary 51:6 Building 1:10 bumped 37:1 Bureau [6] - 10:3, 10:14, 11:2, 50:2, 54:5, 54:12 Buscher 4:24 busy 20:7 Byron [10] - 1:19, 2:13, 2:14, 4:2, 15:19, 21:11, 25:15, 25:17, 53:5, 56:8	28:10, 28:16, 49:19, 57:25, 58:22 cases [6] - 5:4, 6:8, 7:16, 9:13, 46:6, 56:24 Cattle 5:16 caught 22:16 cause [2] - 34:16, 34:18 caused 46:5 Center [2] - 16:18, 26:18 certainly [6] - 18:23, 20:15, 23:3, 23:6, 24:2, 24:7 certification 28:5 certified 32:9 certify 61:7 CFR 48:20 Chair [67] - 2:8, 2:9, 4:12, 7:6, 7:20, 9:3, 9:10, 9:22, 9:23, 9:25, 12:2, 12:3, 13:25, 14:5, 15:10, 15:19, 16:16, 17:21, 18:14, 18:15, 20:2, 20:25, 21:5, 21:11, 22:14, 23:14, 24:8, 24:22, 25:3, 25:13, 26:5, 26:8, 26:25, 27:4, 27:12, 28:2, 28:9, 28:17, 29:2, 29:20, 30:2, 30:16, 30:19, 30:24, 33:2, 33:6, 33:8, 33:16, 37:23, 48:6, 49:23, 50:1, 51:11, 53:5, 53:6, 53:24, 54:3, 55:4, 55:11, 57:1, 57:11, 57:17, 58:4, 58:23, 59:5, 59:6, 60:5 Chairman [110] - 1:18,	2:5, 3:2, 3:6, 3:14, 3:23, 4:1, 4:3, 4:6, 4:8, 6:6, 6:17, 7:11, 7:15, 8:11, 8:18, 8:23, 9:2, 9:15, 9:19, 11:23, 11:25, 13:23, 14:1, 14:18, 15:7, 15:21, 16:7, 17:18, 19:19, 19:22, 20:3, 21:9, 21:13, 21:17, 21:22, 22:1, 22:7, 22:22, 24:14, 24:25, 25:5, 25:16, 25:20, 25:23, 25:25, 26:6, 26:22, 27:1, 27:9, 27:19, 27:21, 28:7, 28:14, 28:20, 28:25, 29:3, 29:19, 29:23, 30:7, 30:9, 30:12, 30:14, 30:17, 30:22, 32:23, 33:3, 33:14, 37:20, 37:24, 38:5, 49:2, 49:6, 49:11, 49:25, 50:15, 51:3, 51:9, 51:19, 52:19, 52:21, 53:1, 53:8, 53:11, 53:14, 53:17, 53:19, 55:1, 55:5, 55:8, 55:16, 55:20, 55:23, 56:6, 56:9, 56:11, 56:14, 56:17, 56:23, 57:2, 57:8, 57:14, 57:19, 57:22, 58:19, 58:24, 60:1, 60:6, 60:9, 60:12 chances 50:4 change [8] - 11:16, 11:18, 17:4, 35:7, 39:23, 43:19, 44:2, 44:12	changed [2] - 43:14, 46:1 changes [17] - 11:21, 33:5, 33:18, 33:25, 34:10, 39:9, 45:23, 48:3, 48:14, 48:15, 48:23, 49:1, 49:14, 51:6, 51:6, 51:13, 53:4 charge 47:20 chase 15:17 check [5] - 21:23, 40:9, 45:20, 46:8, 48:10 checked 40:15 chemicals [2] - 40:9, 40:15 Cheyenne 18:18 CHIA [3] - 26:15, 26:24, 27:8 choice 38:10 choices 38:9 choose 17:2 Chris [2] - 1:19, 20:3 Chuck [3] - 10:8, 10:11, 10:25 citation 48:11 citations [2] - 48:10, 48:19 clarify [3] - 34:20, 48:18, 48:19 Clark [2] - 61:4, 61:7 clean [6] - 11:9, 35:16, 35:25, 37:20, 37:22, 42:5 clear [3] - 9:4, 14:24, 37:16 closed 40:6 coal 16:6 Code 31:23 coli [5] - 36:7, 36:20, 44:10, 46:12, 46:20 coliform [25] - 31:2, 31:7, 31:11, 34:1,
---	---	--	---	---	---

<p>37:4, 37:13, 38:12, 38:16, 39:7, 39:10, 39:21, 40:17, 41:2, 41:5, 42:6, 44:14, 44:16, 45:1, 45:4, 45:10, 45:13, 46:9, 46:22, 50:16, 53:3 coliforms 40:21 collect [8] - 10:19, 39:5, 39:10, 40:16, 44:16, 44:19, 45:16, 47:11 collected [4] - 10:15, 10:21, 39:3, 45:21 collects 44:13 Columbia 5:8 column [3] - 41:6, 41:7, 41:8 comes [3] - 40:17, 44:13, 45:16 coming 51:9 comment [6] - 15:22, 16:10, 17:20, 20:2, 57:4, 57:6 comments [10] - 3:20, 15:5, 32:16, 32:16, 38:4, 42:1, 42:14, 52:22, 54:19, 55:20 commission 61:21 Committee 11:9 common 58:5 Company [2] - 5:8, 26:1 compare [2] - 34:3, 43:15 complete [2] - 24:16, 24:20 completes 47:18 complex 39:17 compliance [5] - 31:16, 35:16, 35:25,</p>	<p>37:20, 37:23 complying 4:16 composed 16:23 computer-aided 61:11 concentrate 44:21 concern [4] - 13:7, 16:12, 16:20, 18:1 concerned 27:8 concerning 32:8 concluded [2] - 56:19, 60:14 conclusions [3] - 19:15, 23:1, 58:9 conditions [2] - 34:23, 35:9 conducted 48:9 conference 18:11 confess 6:24 conflicts 35:18 confusing 8:14 connect [3] - 49:17, 49:22, 55:13 connection 52:16 connections 52:9 consensus 27:23 considered 52:17 constraints 20:17 construction [2] - 4:24, 50:7 contact 22:19 contacts 32:10 contain 61:12 contains 48:14 contaminant 31:7 contamination [6] - 34:16,</p>	<p>34:18, 34:21, 35:6, 35:10, 39:15 contested [7] - 4:11, 4:19, 7:16, 9:13, 26:11, 28:10, 56:24 continue [2] - 4:22, 54:15 continued 27:5 controversial 32:15 convenience 13:16 Convery [2] - 17:21, 17:22 Convery's 18:25 convey 60:2 copious 12:12 corner 38:7 correct [5] - 13:24, 13:25, 25:7, 33:17, 51:2 corrected [2] - 29:10, 29:13 correction 3:12 corrections 3:20 correctly [2] - 47:11, 48:19 cost 40:24 Counsel 26:18 Counsel's 15:11 counts 50:17 county [4] - 29:8, 41:24, 61:4, 61:6 couple [7] - 12:19, 20:23, 26:13, 36:13, 44:1, 48:11, 48:12 course [2] - 13:5, 34:8 Court [5] - 1:24, 8:8, 8:9, 61:5, 61:20 cover [2] - 10:11, 52:8 covered [3] - 26:14, 26:15,</p>	<p>26:21 crossing 48:16 CRUTCHER [3] - 1:23, 61:5, 61:19 Cumulative 14:25 curious [2] - 49:15, 51:5 current 13:22 currently [3] - 11:4, 16:22, 43:18 cut [3] - 7:8, 15:16, 29:7</p> <hr/> <p style="text-align: center;">D</p> <hr/> <p>data 47:2 date [8] - 18:6, 20:16, 21:8, 22:18, 22:20, 25:6, 26:3, 54:9 dates [5] - 21:2, 21:3, 21:3, 21:11, 22:13 deal 58:19 dealing 39:2 deals 38:10 December [12] - 5:7, 12:25, 13:24, 16:13, 16:21, 19:25, 20:5, 20:11, 24:17, 24:19, 24:23, 57:12 decide [4] - 18:12, 18:22, 19:16, 27:10 decided [2] - 14:11, 41:20 decides 19:6 decision [3] - 8:4, 8:10, 13:12 defect 34:14 defer 15:11 deficiencies [2] - 15:2, 34:13 deficiency 34:14 defined 35:20 definition [7] - 35:18, 37:19, 37:21, 37:23,</p>	<p>51:22, 51:25, 52:13 definitions [3] - 35:12, 35:13, 35:15 denial 7:2 Department [26] - 8:2, 10:5, 17:23, 22:8, 24:18, 25:9, 26:23, 30:18, 31:19, 31:22, 32:4, 32:6, 32:14, 32:16, 35:7, 36:17, 39:14, 41:15, 41:20, 42:16, 49:21, 51:7, 53:23, 54:21, 56:21, 57:9 Department's [2] - 54:5, 54:22 depressurize 52:4 depressurized 40:7 DEQ [10] - 5:23, 5:25, 19:9, 31:1, 31:13, 31:15, 46:16, 46:25, 47:18, 48:7 design 50:7 designated 35:3 designed 31:4 detail 39:1 detailed [2] - 32:1, 32:21 details 42:13 determination 34:23 determine [2] - 35:5, 59:15 determined 26:3 determining 11:5 developing 58:9 differ 8:14 difference [2] - 35:23, 46:20 digest 12:10 Dilliard [6] -</p>	<p>49:24, 50:1, 50:2, 50:19, 51:9, 51:11 discharge 8:16 discovered 48:11 discretion [5] - 38:7, 40:13, 40:25, 42:22, 47:17 discuss 57:15 discussion [5] - 10:9, 25:18, 30:7, 53:12, 56:9 discussions [2] - 9:5, 59:1 dismiss 7:5 disposal 49:18 distribution [3] - 45:24, 46:4, 47:22 divided 43:20 document [3] - 32:25, 39:25, 55:9 documenting 40:2 documents [2] - 55:10, 56:2 download 55:10 Dr [9] - 1:19, 2:13, 2:14, 4:2, 15:19, 21:11, 25:15, 53:5, 56:8 draft 59:3 drafted 32:5 drafting 22:25 drafts 23:11 drain 52:5 drinking [2] - 31:3, 34:17 drop 6:15 dual [6] - 38:10, 38:12, 38:13, 38:17, 39:8, 39:13 due [3] - 8:5, 39:8, 44:9 dynamic 11:14</p>
--	---	--	--	---	--

<p style="text-align: center;">E</p> <p>earliest 33:24 easier 24:2 easiest 17:3 easily 35:6 East 1:11 easy [2] - 19:4, 47:10 editions 54:9 effect [3] - 27:25, 29:18, 56:4 effective [2] - 31:4, 31:12 effectiveness 27:7 efficiently 11:6 effort [3] - 19:5, 19:11, 46:8 either [5] - 6:11, 10:15, 34:16, 46:20, 47:25 electronically 56:3 eligible 38:20 email [3] - 29:17, 33:10, 33:13 emission 54:17 emissions [2] - 10:22, 11:13 emphasis [2] - 44:25, 47:6 emphasize [2] - 33:25, 34:1 ends 58:11 Energy [4] - 8:6, 18:17, 23:22, 26:1 enforce 54:16 enforcement [2] - 31:17, 31:18 engage 58:11 ensure [2] - 35:8, 54:12 entered 4:15 entire [3] - 12:21, 27:14, 46:18</p>	<p>Environment 26:18 Environmental [3] - 1:1, 16:18, 41:17 EPA [7] - 11:12, 31:14, 31:16, 32:6, 34:5, 38:3, 42:23 equal [3] - 36:4, 38:20, 41:13 equipment 40:9 error 29:22 errors 48:11 especially 11:9 establish 10:18 evaluate 24:3 evaluating 11:4 everybody [2] - 19:4, 26:6 everyone [3] - 2:5, 17:3, 20:7 everything [5] - 24:1, 40:10, 46:3, 47:22, 47:23 exactly 59:25 Examiner [17] - 6:9, 7:17, 12:23, 14:3, 14:8, 14:11, 14:15, 14:23, 15:15, 27:11, 27:15, 27:23, 28:8, 28:16, 28:23, 29:25, 30:4 example 36:20 exceedences [2] - 37:5, 37:14 except 43:8 exceptions 6:1 excerpt 48:13 excessive 50:16 excuse [3] - 8:21, 9:3, 32:23 existing</p>	<p>51:14 expansion [2] - 8:19, 8:22 expect 32:14 expense 19:5 expenses 11:3 experience 20:1 expire 13:9 expires 61:21 explain 48:22 explanation 53:21 express [2] - 13:20, 35:7 extension 6:22 extensive 47:3 extra 51:7</p> <p style="text-align: center;">F</p> <p>fac 59:7 facilitate 19:13 facilities [2] - 10:22, 10:24 factors 34:22 facts [11] - 23:19, 23:20, 23:20, 23:25, 58:1, 58:25, 59:10, 59:13, 59:14, 59:16, 59:23 failure 34:14 fair 13:4 fairly 12:12 fall [2] - 15:18, 20:4 Falls 5:8 favor [6] - 4:4, 25:20, 30:9, 53:14, 56:11, 60:9 feasible 24:21 Federal [23] - 31:12, 31:23, 35:12, 35:14, 35:23, 36:2, 36:5, 36:9, 36:14, 36:18, 37:11, 37:25, 38:8, 41:4, 41:7, 41:22, 43:2, 53:3,</p>	<p>53:25, 54:9, 54:14, 54:16, 55:25 fee [6] - 10:9, 10:18, 11:1, 11:16, 11:18, 11:21 feedback 32:13 feeling 29:16 fees [9] - 8:1, 8:5, 9:21, 10:6, 10:10, 10:14, 10:17, 10:21, 10:23 felt 14:24 fewer [3] - 38:15, 38:19, 41:13 field [3] - 46:16, 47:1, 47:19 figure 46:5 file [2] - 6:22, 55:13 filed [6] - 4:20, 5:11, 5:12, 7:4, 8:7, 26:17 Filliator [12] - 30:21, 30:23, 30:25, 33:2, 33:6, 33:21, 37:22, 38:2, 38:6, 49:23, 51:24, 52:13 final [2] - 55:1, 56:23 finally 56:19 finding 57:24 findings [7] - 19:15, 22:25, 58:9, 58:12, 59:3, 59:13, 59:20 fine [5] - 16:1, 16:4, 21:4, 21:6, 28:21 finish [3] - 16:12, 20:8, 20:13 finished 26:23 fire 45:25 fits 36:1 five [5] - 21:3, 21:3, 35:13, 44:16, 44:19 fix [5] - 36:21,</p>	<p>44:22, 45:2, 47:25, 48:1 fixed [2] - 47:8, 48:12 fixing 47:9 flat 10:22 flexible 21:1 flow 45:25 flowing 46:1 flush 40:8 flushed 47:12 focus [3] - 32:5, 39:18, 41:10 FOF 23:11 folks 19:13 follow 18:11 foot 22:17 foregoing 61:12 forgot 3:17 forward [3] - 7:1, 44:20, 49:24 frankly 20:5 free 47:20 frequency [3] - 41:3, 41:5, 43:6 front [4] - 15:13, 15:14, 15:16, 50:9 full [5] - 13:3, 19:24, 32:24, 32:25, 47:6 full-time 17:10 fully [2] - 12:7, 17:11 fundamentally 26:12 funded 10:14</p> <p style="text-align: center;">G</p> <p>gain 31:17 gas 10:23 gave 10:8 general [4] - 25:8, 27:7, 52:1, 57:4 genuine 59:17 George 7:21 gets 45:4 given [4] - 24:23, 27:12, 33:4, 49:4 goes [3] - 12:1, 46:7,</p>	<p>57:12 gone [3] - 40:14, 48:8, 55:2 goofy 29:17 Goran [3] - 29:7, 29:19, 29:23 gotten 9:8 Grill [2] - 4:14, 4:15 ground [8] - 36:3, 36:15, 38:14, 38:19, 38:23, 41:12, 43:8, 58:5 group [2] - 31:7, 32:5 guess [11] - 2:6, 14:18, 16:8, 16:11, 21:3, 22:7, 24:17, 26:22, 27:12, 27:22, 59:6 guidelines [2] - 42:17, 42:23</p> <p style="text-align: center;">H</p> <p>half 47:5 Halloween 21:7 hand-out 33:5 handle [3] - 14:15, 28:2, 30:5 happen 45:3 happened [2] - 7:25, 9:15 happens 44:12 happy 17:16 Harbage [5] - 54:1, 54:3, 54:4, 55:4, 55:7 harder 58:23 haven't [2] - 9:8, 11:1 having [8] - 5:19, 12:15, 12:19, 12:25, 15:12, 17:24, 29:5, 31:5 health [2] - 31:5, 41:24</p>
--	---	---	---	---	---

<p>hear [15] - 3:3, 3:8, 4:11, 12:16, 12:24, 13:3, 14:20, 15:3, 15:7, 15:17, 21:17, 25:5, 25:10, 26:3, 27:10</p> <p>heard [7] - 1:10, 12:24, 13:11, 14:7, 14:10, 16:21, 32:6</p> <p>hearing [44] - 4:19, 5:12, 5:14, 5:16, 6:9, 7:17, 12:8, 12:22, 12:23, 13:14, 14:3, 14:11, 14:17, 15:14, 15:15, 15:15, 15:25, 16:10, 16:14, 17:12, 17:25, 18:6, 18:10, 23:7, 25:25, 27:11, 27:15, 27:23, 28:8, 28:10, 28:13, 28:16, 28:23, 29:25, 30:4, 32:18, 32:19, 53:7, 53:9, 57:3, 57:8, 58:6, 58:6, 58:18</p> <p>Hearings [3] - 14:8, 14:14, 14:23</p> <p>Heart 5:15</p> <p>held 5:16</p> <p>Helena 1:12</p> <p>helpful 23:3</p> <p>hereby 61:7</p> <p>herein 61:9</p> <p>hereunto 61:15</p> <p>Hernandez [5] - 16:16, 16:17, 18:1, 23:13, 24:8</p> <p>Heron 7:3</p> <p>hesitant 58:10</p> <p>hesitate 20:12</p> <p>Highlander [2] - 4:14, 4:15</p>	<p>highlighted 48:15</p> <p>Hillary 2:7</p> <p>hinder 34:23</p> <p>hindering 34:24</p> <p>history [5] - 10:9, 35:16, 35:25, 37:21, 37:23</p> <p>hit [5] - 36:7, 40:22, 44:15, 45:4, 45:12</p> <p>hits [3] - 42:6, 46:12, 46:22</p> <p>holding 57:2</p> <p>Homer 10:8</p> <p>hope 24:7</p> <p>hopefully 39:15</p> <p>Houle [12] - 2:8, 2:15, 2:17, 2:19, 2:22, 2:25, 13:25, 29:9, 29:18, 33:8, 33:16, 55:11</p> <p>hour 47:4</p> <p>housekeeping 31:24</p> <p>however [7] - 12:17, 13:6, 18:5, 26:19, 41:1, 42:25, 44:4</p> <p>hydraulics 46:2</p> <p>hydroelectric 28:5</p> <p>hydrologic [2] - 14:25, 26:14</p> <hr/> <p style="text-align: center;">I</p> <hr/> <p>idea [4] - 43:13, 44:2, 44:21, 46:3</p> <p>ideal 17:14</p> <p>identified 21:2</p> <p>identify 50:24</p> <p>III(A)(1 26:9</p> <p>III(c)(1 55:15</p> <p>ill 7:22</p> <p>immediately 16:25</p> <p>Impact 14:25</p> <p>implement [2] - 51:15,</p>	<p>54:16</p> <p>implemented [5] - 31:14, 31:15, 34:4, 34:5, 43:15</p> <p>implies 35:19</p> <p>impossible 50:22</p> <p>inadvertent 29:22</p> <p>inasmuch 58:12</p> <p>included [4] - 32:25, 35:13, 54:23, 55:13</p> <p>includes 35:1</p> <p>incorporate [3] - 31:20, 54:8, 55:24</p> <p>incorporated 49:3</p> <p>incorporation 53:25</p> <p>increasing 11:2</p> <p>indicate 31:8</p> <p>indicated [2] - 13:6, 13:17</p> <p>individuals 42:16</p> <p>inform 5:3</p> <p>informal 32:16</p> <p>information [3] - 9:9, 32:8, 55:6</p> <p>initiate [3] - 32:25, 48:25, 53:2</p> <p>initiated 54:18</p> <p>initiation [3] - 30:17, 32:17, 52:23</p> <p>insofar 4:16</p> <p>inspect 40:8</p> <p>inspection [2] - 40:15, 50:13</p> <p>instead [2] - 44:22, 44:23</p> <p>intend 57:13</p> <p>intended 48:20</p> <p>interested 32:11</p> <p>interject 22:15</p> <p>interrupt [3] - 6:13, 29:9,</p>	<p>34:7</p> <p>intervenor 18:20</p> <p>introduction 34:16</p> <p>involve 11:8</p> <p>involves 16:6</p> <p>isn't 17:10</p> <p>isolating 34:21</p> <p>issue [11] - 8:1, 8:4, 9:11, 14:2, 16:23, 17:5, 27:9, 58:4, 59:8, 59:17, 59:17</p> <p>issued [3] - 4:21, 5:23, 7:9</p> <p>issues [5] - 8:24, 12:20, 23:23, 26:14, 26:20</p> <p>item [4] - 3:9, 29:24, 55:14, 58:25</p> <p>items [6] - 9:19, 26:7, 31:24, 32:25, 39:19, 56:20</p> <p>itself [2] - 28:4, 45:19</p> <hr/> <p style="text-align: center;">J</p> <hr/> <p>January [4] - 17:1, 18:12, 19:17, 20:12</p> <p>Joan [4] - 1:18, 2:9, 6:13, 16:2</p> <p>job 6:18</p> <p>jobs [2] - 17:10, 19:3</p> <p>John [8] - 7:21, 8:11, 18:16, 28:10, 49:23, 50:1, 51:9, 53:23</p> <p>join 19:11</p> <p>joining [3] - 6:7, 33:9, 33:19</p> <p>joint [2] - 6:23, 7:4</p> <p>Judge 8:4</p> <p>judgment [8] - 5:18, 12:6, 15:11, 23:17,</p>	<p>23:24, 24:4, 58:17, 59:12</p> <p>June 54:19</p> <p>jurisdiction [2] - 15:9, 31:13</p> <hr/> <p style="text-align: center;">K</p> <hr/> <p>Keepers 28:6</p> <p>key 34:13</p> <p>known 31:10</p> <hr/> <p style="text-align: center;">L</p> <hr/> <p>Lakes 7:3</p> <p>language 41:7</p> <p>larger 47:5</p> <p>later [2] - 37:1, 40:24</p> <p>latter 17:14</p> <p>Laurel 5:24</p> <p>LAURIE [3] - 1:23, 61:5, 61:19</p> <p>law [5] - 16:18, 19:15, 23:1, 26:18, 58:10</p> <p>laws 4:13</p> <p>lay 13:22</p> <p>leads 48:2</p> <p>least [2] - 23:22, 54:13</p> <p>leaving 20:22</p> <p>legal 13:4</p> <p>Legislature 10:17</p> <p>less 36:4</p> <p>let's [2] - 45:1, 45:2</p> <p>letters 9:8</p> <p>Level [13] - 44:24, 44:24, 45:8, 45:9, 45:14, 45:18, 46:10, 46:13, 46:15, 46:19, 46:22, 47:15, 47:20</p> <p>levels 31:7</p> <p>Lewis [2] - 61:4, 61:6</p> <p>likely 15:23</p> <p>limits 5:6</p> <p>link 50:23</p> <p>listed 42:24</p> <p>listen [2] - 16:11, 33:4</p>	<p>literally 49:17</p> <p>Liz [2] - 9:23, 10:1</p> <p>Local 18:18</p> <p>locations 35:4</p> <p>Logging 6:1</p> <p>logistical 28:2</p> <p>longer 43:24</p> <p>looking 55:8</p> <p>looks [4] - 8:8, 11:7, 26:9, 40:10</p> <p>LT 6:22</p> <p>luck 53:21</p> <hr/> <p style="text-align: center;">M</p> <hr/> <p>Madam [67] - 2:8, 2:9, 4:12, 7:6, 7:20, 9:3, 9:10, 9:22, 9:23, 9:25, 12:2, 12:3, 13:25, 14:5, 15:10, 15:19, 16:16, 17:21, 18:14, 18:15, 20:2, 20:25, 21:5, 21:11, 22:14, 23:14, 24:8, 24:22, 25:3, 25:13, 26:5, 26:8, 26:25, 27:4, 27:12, 28:1, 28:9, 28:17, 29:2, 29:20, 30:2, 30:16, 30:19, 30:23, 33:2, 33:6, 33:8, 33:16, 37:23, 48:6, 49:23, 50:1, 51:11, 53:5, 53:6, 53:24, 54:3, 55:4, 55:11, 57:1, 57:11, 57:17, 58:4, 58:23, 59:5, 59:6, 60:5</p> <p>major [2] - 33:25, 43:19</p> <p>majority 10:21</p> <p>makes 17:2</p>
--	---	---	--	--	--

<p>making 13:12 malfunction 34:15 mandatory [4] - 40:1, 40:4, 46:9, 47:16 MAR 42:12 March 61:22 Marietta [6] - 1:21, 2:15, 3:2, 16:4, 16:8, 21:13 mark 45:12 Martin [4] - 18:15, 18:16, 22:24, 58:8 material [5] - 10:11, 23:5, 23:23, 59:16, 59:17 materials [6] - 12:11, 12:12, 15:13, 18:3, 18:9, 23:9 Mathieus [2] - 7:22, 13:1 matter [45] - 4:13, 4:23, 5:1, 5:5, 5:6, 5:9, 5:15, 5:25, 6:21, 6:25, 7:1, 7:2, 7:7, 7:17, 12:7, 12:8, 12:16, 12:22, 12:24, 12:24, 13:3, 13:11, 13:14, 13:21, 14:5, 14:7, 14:9, 14:12, 14:17, 14:20, 15:11, 16:19, 17:12, 17:23, 18:12, 18:20, 19:17, 23:21, 25:3, 25:10, 26:1, 27:11, 27:14, 30:15, 52:24 matters [6] - 14:16, 22:21, 28:3, 29:16, 57:5, 57:14 maximum 31:6 maybe [5] - 3:3, 20:4, 20:17, 45:25, 58:24</p>	<p>MCL [3] - 37:5, 37:12, 46:13 means 31:15 meddling 17:4 mediation 4:25 meet 31:6 meeting [18] - 1:5, 2:6, 3:19, 6:18, 6:19, 12:25, 13:5, 13:23, 19:25, 20:12, 21:18, 24:17, 24:23, 25:10, 27:6, 57:10, 60:4, 60:12 meetings 14:2 member [6] - 2:13, 2:15, 2:17, 2:19, 2:22, 2:25 members [20] - 1:19, 2:10, 7:20, 10:1, 12:11, 13:8, 13:11, 16:16, 16:25, 17:21, 18:7, 18:15, 19:22, 22:19, 28:9, 30:24, 33:8, 48:6, 49:9, 54:3 mentioned [3] - 10:25, 20:3, 42:12 Metcalf 1:10 Michele [8] - 1:21, 2:19, 3:7, 6:6, 16:3, 21:18, 21:20, 21:22 middle [2] - 41:6, 41:7 Miles [110] - 1:18, 2:5, 2:9, 3:2, 3:6, 3:23, 4:1, 4:3, 4:6, 4:8, 6:6, 6:17, 7:11, 7:15, 8:11, 8:18, 8:23, 9:2, 9:15, 9:19, 11:23, 11:25, 13:23, 14:1,</p>	<p>14:18, 15:7, 15:21, 16:7, 17:18, 19:19, 19:22, 20:3, 21:9, 21:13, 21:17, 21:22, 22:1, 22:7, 22:22, 24:14, 24:25, 25:5, 25:16, 25:20, 25:23, 25:25, 26:6, 26:22, 27:1, 27:9, 27:19, 27:21, 28:7, 28:14, 28:20, 28:25, 29:3, 29:19, 29:23, 30:7, 30:9, 30:12, 30:14, 30:17, 30:22, 32:23, 33:3, 33:14, 37:20, 37:24, 38:5, 49:2, 49:6, 49:11, 49:25, 50:15, 51:3, 51:9, 51:19, 52:19, 52:21, 53:1, 53:8, 53:11, 53:14, 53:17, 53:19, 55:1, 55:5, 55:8, 55:16, 55:20, 55:23, 56:6, 56:9, 56:11, 56:14, 56:17, 56:23, 57:2, 57:8, 57:14, 57:19, 57:22, 58:19, 58:24, 60:1, 60:6, 60:9, 60:12 mind [2] - 14:22, 50:21 minds 27:6 mine [4] - 8:17, 8:24, 12:4, 26:2 Miners 18:18 Mining [2] - 7:8, 29:7 minor 29:8 minute 6:14 minutes [5] - 3:10, 3:14, 3:15, 3:21, 24:11 missed [2] - 3:6, 14:1</p>	<p>missing 9:7 Missouri 28:6 mistook 3:7 moment 51:25 Monday [2] - 21:25, 22:2 money [2] - 39:12, 40:24 monitor [2] - 43:18, 44:3 monitoring [27] - 36:6, 36:8, 36:10, 36:12, 36:16, 36:22, 36:25, 37:3, 37:5, 37:10, 37:13, 41:2, 41:5, 41:15, 42:5, 42:11, 42:24, 43:5, 43:5, 43:8, 43:11, 43:17, 43:25, 44:6, 44:8, 44:9, 50:8 Montana [18] - 1:2, 1:12, 8:8, 11:13, 31:1, 35:23, 36:11, 36:24, 37:12, 38:9, 38:13, 41:8, 42:25, 43:6, 54:11, 54:15, 61:2, 61:7 Montana's [2] - 31:21, 54:13 month [8] - 16:15, 39:6, 44:17, 44:18, 44:19, 45:11, 46:14, 46:23 monthly [14] - 36:8, 36:12, 36:16, 36:19, 39:3, 41:16, 41:19, 42:4, 42:10, 42:18, 42:20, 43:17, 43:18, 44:3 months [2] - 37:5, 44:1 morning [11] - 2:5, 6:6, 6:14, 9:25, 29:10, 30:23, 33:10, 33:18,</p>	<p>33:19, 48:4, 54:6 mostly 49:7 motion [21] - 3:15, 3:24, 4:8, 12:6, 25:3, 25:8, 25:11, 27:24, 27:25, 28:15, 28:19, 29:4, 53:2, 53:10, 53:19, 55:23, 56:3, 56:17, 57:21, 59:10, 59:12 motions 5:18 move [7] - 4:10, 13:18, 30:3, 33:3, 56:5, 57:17, 60:8 moved [8] - 3:18, 3:25, 4:3, 25:14, 25:16, 51:1, 53:5, 53:11 moves 7:11 moving [5] - 5:4, 5:11, 7:1, 59:9, 59:11 MPDES [2] - 5:23, 7:18 myself 16:5</p>	<p>41:12, 52:14 non-enforcement [2] - 5:4, 6:8 non-seasonal [3] - 43:9, 43:22, 44:5 nondegradation 7:3 none [4] - 25:25, 53:1, 56:22, 57:8 Normally 57:11 North [17] - 7:18, 7:20, 7:21, 8:15, 8:20, 9:1, 9:10, 9:23, 22:12, 24:22, 28:9, 28:10, 30:19, 53:6, 53:24, 56:22, 57:11 notarial 61:16 Notary [3] - 1:24, 61:6, 61:20 note [2] - 13:19, 26:9 notice [7] - 12:18, 33:11, 42:12, 48:8, 48:14, 49:3, 54:20 noting 29:11 November [13] - 5:2, 13:15, 17:8, 17:15, 17:25, 18:8, 20:16, 20:21, 21:6, 21:19, 23:2, 24:16, 26:2</p>
N					
<p>named 61:9 national 31:2 Natural 18:19 nearly 50:22 necessarily 15:8 necessary [2] - 19:17, 35:8 needed [3] - 24:15, 48:12, 51:1 needing 11:16 needs [4] - 12:23, 31:19, 47:8, 47:12 negative 44:23 nice [2] - 6:18, 56:18 non-community [3] - 36:4,</p>	<p>41:12, 52:14 non-enforcement [2] - 5:4, 6:8 non-seasonal [3] - 43:9, 43:22, 44:5 nondegradation 7:3 none [4] - 25:25, 53:1, 56:22, 57:8 Normally 57:11 North [17] - 7:18, 7:20, 7:21, 8:15, 8:20, 9:1, 9:10, 9:23, 22:12, 24:22, 28:9, 28:10, 30:19, 53:6, 53:24, 56:22, 57:11 notarial 61:16 Notary [3] - 1:24, 61:6, 61:20 note [2] - 13:19, 26:9 notice [7] - 12:18, 33:11, 42:12, 48:8, 48:14, 49:3, 54:20 noting 29:11 November [13] - 5:2, 13:15, 17:8, 17:15, 17:25, 18:8, 20:16, 20:21, 21:6, 21:19, 23:2, 24:16, 26:2</p>	<p>41:12, 52:14 non-enforcement [2] - 5:4, 6:8 non-seasonal [3] - 43:9, 43:22, 44:5 nondegradation 7:3 none [4] - 25:25, 53:1, 56:22, 57:8 Normally 57:11 North [17] - 7:18, 7:20, 7:21, 8:15, 8:20, 9:1, 9:10, 9:23, 22:12, 24:22, 28:9, 28:10, 30:19, 53:6, 53:24, 56:22, 57:11 notarial 61:16 Notary [3] - 1:24, 61:6, 61:20 note [2] - 13:19, 26:9 notice [7] - 12:18, 33:11, 42:12, 48:8, 48:14, 49:3, 54:20 noting 29:11 November [13] - 5:2, 13:15, 17:8, 17:15, 17:25, 18:8, 20:16, 20:21, 21:6, 21:19, 23:2, 24:16, 26:2</p>	<p>41:12, 52:14 non-enforcement [2] - 5:4, 6:8 non-seasonal [3] - 43:9, 43:22, 44:5 nondegradation 7:3 none [4] - 25:25, 53:1, 56:22, 57:8 Normally 57:11 North [17] - 7:18, 7:20, 7:21, 8:15, 8:20, 9:1, 9:10, 9:23, 22:12, 24:22, 28:9, 28:10, 30:19, 53:6, 53:24, 56:22, 57:11 notarial 61:16 Notary [3] - 1:24, 61:6, 61:20 note [2] - 13:19, 26:9 notice [7] - 12:18, 33:11, 42:12, 48:8, 48:14, 49:3, 54:20 noting 29:11 November [13] - 5:2, 13:15, 17:8, 17:15, 17:25, 18:8, 20:16, 20:21, 21:6, 21:19, 23:2, 24:16, 26:2</p>	<p>41:12, 52:14 non-enforcement [2] - 5:4, 6:8 non-seasonal [3] - 43:9, 43:22, 44:5 nondegradation 7:3 none [4] - 25:25, 53:1, 56:22, 57:8 Normally 57:11 North [17] - 7:18, 7:20, 7:21, 8:15, 8:20, 9:1, 9:10, 9:23, 22:12, 24:22, 28:9, 28:10, 30:19, 53:6, 53:24, 56:22, 57:11 notarial 61:16 Notary [3] - 1:24, 61:6, 61:20 note [2] - 13:19, 26:9 notice [7] - 12:18, 33:11, 42:12, 48:8, 48:14, 49:3, 54:20 noting 29:11 November [13] - 5:2, 13:15, 17:8, 17:15, 17:25, 18:8, 20:16, 20:21, 21:6, 21:19, 23:2, 24:16, 26:2</p>	
O					
<p>O'Connor [15] - 1:20, 2:17, 2:18, 3:16, 3:17, 3:25, 9:3, 9:13, 9:14, 19:23, 21:5, 26:8, 30:3, 53:10, 56:5 obtained 56:3 obviously 13:16 occurs 15:13</p>	<p>O'Connor [15] - 1:20, 2:17, 2:18, 3:16, 3:17, 3:25, 9:3, 9:13, 9:14, 19:23, 21:5, 26:8, 30:3, 53:10, 56:5 obtained 56:3 obviously 13:16 occurs 15:13</p>	<p>O'Connor [15] - 1:20, 2:17, 2:18, 3:16, 3:17, 3:25, 9:3, 9:13, 9:14, 19:23, 21:5, 26:8, 30:3, 53:10, 56:5 obtained 56:3 obviously 13:16 occurs 15:13</p>	<p>O'Connor [15] - 1:20, 2:17, 2:18, 3:16, 3:17, 3:25, 9:3, 9:13, 9:14, 19:23, 21:5, 26:8, 30:3, 53:10, 56:5 obtained 56:3 obviously 13:16 occurs 15:13</p>	<p>O'Connor [15] - 1:20, 2:17, 2:18, 3:16, 3:17, 3:25, 9:3, 9:13, 9:14, 19:23, 21:5, 26:8, 30:3, 53:10, 56:5 obtained 56:3 obviously 13:16 occurs 15:13</p>	

<p>October [6] - 8:3, 13:14, 17:7, 17:15, 20:16, 20:19</p> <p>October/early [2] - 17:25, 18:7</p> <p>offer [3] - 18:13, 19:12, 20:6</p> <p>office 22:18</p> <p>Officer [4] - 28:13, 32:18, 53:7, 53:9</p> <p>official [2] - 41:23, 42:2</p> <p>oil 10:23</p> <p>omitted 48:16</p> <p>ongoing [2] - 8:2, 50:10</p> <p>onsite [2] - 46:17, 47:19</p> <p>open [8] - 7:8, 29:7, 40:10, 40:18, 40:21, 44:1, 52:1, 52:10</p> <p>operate [2] - 11:6, 51:12</p> <p>operated [2] - 34:2, 52:14</p> <p>operating [2] - 49:20, 52:2</p> <p>operator 47:10</p> <p>operators 32:9</p> <p>opinions 13:21</p> <p>opportunity 23:9</p> <p>opposed [7] - 4:6, 17:24, 25:23, 28:11, 30:12, 53:17, 56:15</p> <p>oral 6:2</p> <p>order [10] - 2:6, 4:20, 5:21, 6:23, 7:6, 7:9, 31:17, 56:24, 58:5, 59:20</p> <p>orders 4:21</p> <p>ordinary 13:5</p> <p>originally [2] - 14:22, 37:8</p> <p>others [2] - 20:23, 27:19</p> <p>outfall 5:6</p>	<p>outfalls 8:16</p> <p>outline 33:22</p> <p>outreach 32:13</p> <p>overlap 37:18</p> <p>oversee [2] - 49:20, 49:21</p> <p>overview [3] - 31:25, 32:2, 32:21</p> <p>owing 8:5</p> <hr/> <p style="text-align: center;">P</p> <hr/> <p>pace [3] - 4:22, 5:9, 6:18</p> <p>package [13] - 30:20, 32:2, 32:8, 32:11, 32:14, 32:21, 33:23, 34:20, 35:14, 36:1, 38:3, 38:8, 39:18</p> <p>packet 33:18</p> <p>packets [3] - 33:1, 54:24, 55:5</p> <p>pages 61:12</p> <p>paperwork 40:3</p> <p>parallel 4:21</p> <p>particular [3] - 35:17, 38:10, 59:12</p> <p>Particularly 49:16</p> <p>parties [34] - 4:20, 4:25, 5:10, 5:12, 5:17, 6:3, 6:25, 7:4, 7:10, 12:7, 12:20, 13:4, 13:6, 13:10, 13:13, 13:16, 13:19, 14:6, 14:13, 16:9, 17:19, 19:14, 22:23, 22:23, 23:18, 23:25, 24:10, 27:6, 32:12, 57:25, 58:2, 59:2, 59:21, 60:2</p> <p>party [3] - 58:13, 59:9, 59:11</p> <p>passes 53:20</p>	<p>pathogenic 31:9</p> <p>Payne 6:1</p> <p>Peak 26:12</p> <p>Peak/Meic 9:5</p> <p>percent [4] - 10:13, 11:7, 45:12, 45:12</p> <p>perfect 13:10</p> <p>perform [2] - 39:25, 47:20</p> <p>performing 40:2</p> <p>perhaps [3] - 19:13, 19:14, 22:16</p> <p>period [5] - 20:4, 46:14, 46:24, 47:24, 54:20</p> <p>permanent 27:11</p> <p>permit [7] - 5:23, 7:18, 8:13, 8:16, 9:20, 27:1, 27:8</p> <p>permitted 10:15</p> <p>personnel [2] - 46:16, 47:19</p> <p>pertains [2] - 8:15, 49:13</p> <p>petition 26:17</p> <p>Petitioners [3] - 12:4, 12:5, 16:19</p> <p>Pettis [3] - 48:6, 48:7, 49:5</p> <p>Phillips 5:5</p> <p>picture-wise 38:25</p> <p>pipes 40:8</p> <p>Plaintiffs 8:1</p> <p>plan 10:10</p> <p>plane 6:16</p> <p>Planning 10:2</p> <p>play 35:9</p> <p>plea 23:15</p> <p>please [6] - 4:4, 25:20, 30:9, 53:14, 56:11, 60:9</p> <p>pleasure [2] - 18:17, 29:24</p> <p>point [12] -</p>	<p>5:9, 5:12, 6:15, 14:11, 32:22, 33:15, 33:17, 38:8, 40:23, 42:10, 52:21, 58:3</p> <p>points 10:12</p> <p>policy 37:7</p> <p>political 17:4</p> <p>portable 10:24</p> <p>portion [4] - 38:4, 39:18, 40:1, 47:17</p> <p>position 14:24</p> <p>positions 13:4</p> <p>positive [12] - 39:4, 39:11, 44:10, 44:14, 44:15, 44:18, 45:1, 45:5, 45:13, 45:16, 45:22, 46:6</p> <p>positives 36:20</p> <p>possibility 23:10</p> <p>possible [12] - 12:16, 17:12, 18:8, 18:10, 22:8, 23:2, 23:11, 24:1, 26:4, 57:24, 58:1, 58:7</p> <p>possibly 13:14</p> <p>post 58:6</p> <p>postcards 32:7</p> <p>potential [5] - 17:3, 17:4, 21:18, 22:3, 34:22</p> <p>potentially 34:17</p> <p>power [3] - 32:22, 33:15, 33:17</p> <p>practical [2] - 19:1, 19:10</p> <p>practices 35:8</p> <p>preclude 23:23</p> <p>preferable 21:10</p> <p>preference</p>	<p>[2] - 22:10, 22:13</p> <p>prehearing [4] - 5:13, 5:21, 7:9, 59:20</p> <p>prejudice 7:5</p> <p>prepared [5] - 1:23, 7:6, 15:7, 15:8, 23:7</p> <p>presence 31:8</p> <p>present [4] - 2:4, 6:5, 11:20, 24:11</p> <p>presentation [4] - 6:2, 30:21, 32:22, 54:2</p> <p>presented [4] - 5:17, 10:11, 31:25, 53:4</p> <p>previously 24:10</p> <p>primacy 31:19</p> <p>primary [3] - 31:3, 31:16, 31:18</p> <p>prior [4] - 14:16, 18:12, 43:17, 58:5</p> <p>probably [5] - 12:18, 15:3, 21:5, 21:9, 39:17</p> <p>problem [5] - 36:21, 45:2, 47:8, 50:21, 50:25</p> <p>problems 50:14</p> <p>procedural [2] - 7:12, 23:20</p> <p>procedurally [2] - 14:19, 26:23</p> <p>procedure [4] - 39:25, 40:2, 40:5, 47:14</p> <p>proceed [2] - 29:4, 29:4</p> <p>proceeding 6:3</p> <p>proceedings [6] - 1:8, 2:1,</p>	<p>60:14, 61:8, 61:10, 61:13</p> <p>proceeds 5:9</p> <p>process [12] - 11:10, 32:3, 34:25, 36:17, 37:17, 40:25, 41:24, 42:2, 42:9, 42:13, 53:22, 55:3</p> <p>professionals [2] - 41:25, 41:25</p> <p>program [4] - 10:9, 11:5, 11:15, 31:1</p> <p>project 28:5</p> <p>promulgated 11:12</p> <p>proper [2] - 35:3, 35:4</p> <p>Properties 18:19</p> <p>propose [2] - 31:19, 57:13</p> <p>proposed [7] - 4:18, 19:14, 22:25, 32:5, 38:3, 54:22, 59:19</p> <p>proposing [5] - 38:17, 42:25, 47:18, 49:14, 59:3</p> <p>protect 31:5</p> <p>provide 59:9</p> <p>provided [2] - 10:8, 48:13</p> <p>provisions 8:7</p> <p>public [26] - 1:24, 4:13, 12:17, 30:25, 31:5, 31:5, 32:4, 32:9, 32:11, 32:18, 34:15, 41:24, 45:18, 47:12, 48:4, 50:2, 50:3, 50:4, 50:5, 52:14, 52:22, 54:20, 55:21, 57:4, 61:6, 61:20</p> <p>pull 19:4</p> <p>pulled 37:10</p> <p>pursuant 28:15</p> <p>putting 57:9</p>
--	--	--	---	--	---

<p style="text-align: center;">Q</p> <p>qualify [8] - 36:9, 36:17, 38:23, 42:8, 42:18, 43:10, 43:25, 44:6</p> <p>quality [14] - 4:24, 9:20, 10:3, 10:4, 10:6, 10:14, 11:2, 11:14, 27:7, 53:25, 54:1, 54:5, 54:10, 54:13</p> <p>quarterly [19] - 36:6, 36:10, 36:18, 36:22, 36:25, 37:1, 37:3, 37:8, 37:9, 41:14, 41:16, 41:21, 42:8, 42:19, 43:11, 43:25, 44:6, 44:8, 44:8</p> <p>questioning 24:13</p> <p>quick 14:21</p> <p>quickly [4] - 5:20, 22:5, 39:16, 44:2</p> <p>quite [3] - 12:13, 15:2, 21:1</p> <p>quotations 48:12</p>	<p>reapplying 37:9</p> <p>reason 14:9</p> <p>Rebecca [2] - 54:1, 54:4</p> <p>receive 10:16</p> <p>received [5] - 32:15, 33:12, 38:3, 42:14, 54:20</p> <p>recently [2] - 7:25, 9:9</p> <p>recognize 19:2</p> <p>recommends 32:17</p> <p>record [4] - 6:18, 37:12, 54:4, 61:13</p> <p>recuse [2] - 16:5, 21:14</p> <p>reduce [2] - 42:23, 43:7</p> <p>reduced 43:5</p> <p>reducing 11:3</p> <p>Reed [32] - 4:12, 6:21, 7:16, 9:11, 9:12, 9:22, 12:2, 14:5, 22:14, 24:9, 25:2, 25:12, 26:5, 26:8, 26:25, 27:3, 28:1, 28:22, 29:2, 29:6, 29:10, 29:15, 29:20, 30:2, 30:16, 57:1, 58:4, 58:16, 58:21, 59:5, 59:24, 60:5</p> <p>refer [2] - 10:12, 27:15</p> <p>reference [3] - 53:25, 54:8, 55:25</p> <p>references 56:2</p> <p>Refinery 5:24</p> <p>refresher 10:13</p> <p>regard [3] - 7:24, 30:20, 52:23</p> <p>regarding 7:18</p> <p>registered [2] - 10:15, 10:23</p>	<p>regulated 10:22</p> <p>regulation [2] - 28:18, 31:3</p> <p>regulations [7] - 11:11, 31:24, 41:22, 50:10, 54:10, 54:14, 56:1</p> <p>Reinhart-levine [7] - 1:21, 2:4, 2:20, 3:16, 6:5, 16:3, 21:20</p> <p>related 34:11</p> <p>removed 16:25</p> <p>repeat 45:17</p> <p>replaced 51:1</p> <p>report [2] - 10:5, 10:8</p> <p>reported 61:10</p> <p>Reporter [3] - 1:24, 61:5, 61:20</p> <p>represent [2] - 17:22, 30:25</p> <p>representing [4] - 16:18, 17:19, 18:17, 54:5</p> <p>requalify 36:21</p> <p>request [4] - 6:22, 11:16, 11:18, 59:21</p> <p>requested [4] - 13:13, 14:7, 14:13, 23:18</p> <p>requests [2] - 31:23, 54:21</p> <p>require [5] - 10:5, 12:13, 26:19, 50:25, 51:6</p> <p>required 39:24</p> <p>requirements 39:22</p> <p>requires [2] - 28:18, 37:25</p> <p>requiring 58:11</p> <p>resolution 4:25</p> <p>resolve 5:10</p>	<p>resolved 5:1</p> <p>resort 52:3</p> <p>Resource 18:19</p> <p>resources [3] - 5:22, 51:7, 51:14</p> <p>respect [2] - 9:4, 23:21</p> <p>respectful 17:9</p> <p>respond 17:17</p> <p>responded [2] - 6:23, 6:24</p> <p>response [31] - 2:21, 3:22, 4:5, 4:7, 7:14, 9:18, 11:24, 15:6, 19:21, 25:19, 25:22, 25:24, 27:20, 30:8, 30:11, 30:13, 49:10, 52:20, 52:25, 53:13, 53:16, 53:18, 55:19, 55:22, 56:10, 56:13, 56:16, 57:7, 57:16, 60:7, 60:11</p> <p>responsibility [2] - 31:17, 31:18</p> <p>result [2] - 42:9, 44:16</p> <p>results [3] - 37:4, 40:18, 44:23</p> <p>return [2] - 36:19, 41:21</p> <p>returning 40:3</p> <p>revenue 10:19</p> <p>review [9] - 1:1, 3:9, 3:13, 7:3, 12:13, 18:3, 41:17, 48:9, 50:6</p> <p>reviewed [2] - 12:12, 18:9</p> <p>revised [7] - 26:23, 31:10, 31:11, 38:16, 39:7, 46:9, 53:3</p>	<p>ripe 16:13</p> <p>Rob 25:17</p> <p>Robert [2] - 1:19, 2:13</p> <p>Robin [7] - 1:20, 2:22, 6:17, 21:14, 21:18, 51:10, 51:11</p> <p>Rock 7:8</p> <p>roll 2:7</p> <p>rolling [2] - 46:14, 46:23</p> <p>Roman 26:9</p> <p>room [2] - 1:10, 57:5</p> <p>Rosebud [2] - 12:4, 26:1</p> <p>routine [4] - 40:22, 41:4, 44:13, 45:15</p> <p>routinely 22:21</p> <p>routines [2] - 44:17, 44:19</p> <p>row 44:4</p> <p>rows 43:21</p> <p>Roy [2] - 1:20, 2:17</p> <p>RPR [3] - 1:23, 61:5, 61:19</p> <p>RTCR [17] - 30:20, 31:11, 31:12, 31:20, 31:22, 31:25, 34:11, 35:12, 38:18, 39:24, 43:16, 44:7, 44:11, 44:20, 45:4, 47:16, 51:13</p> <p>rule [51] - 28:11, 28:12, 30:20, 31:2, 31:4, 31:10, 31:11, 31:14, 31:16, 31:21, 32:2, 32:3, 32:8, 32:11, 32:14, 32:21, 33:23, 34:1, 34:3, 34:20, 35:2, 35:7, 35:14, 35:23, 35:24, 36:1, 36:2, 36:5, 36:9, 36:11, 37:11, 37:25, 38:3, 38:8,</p>	<p>38:12, 38:16, 39:7, 39:18, 39:21, 41:4, 41:23, 42:2, 44:14, 46:9, 48:8, 48:13, 49:3, 51:13, 53:3, 58:15, 59:8</p> <p>rulemaking [9] - 30:18, 32:17, 33:1, 48:25, 52:23, 53:2, 54:8, 54:12, 54:18</p> <p>rules [13] - 10:4, 31:20, 32:5, 36:18, 39:9, 43:2, 43:14, 54:1, 54:10, 54:11, 54:13, 54:22, 59:18</p> <p>ruling 16:23</p> <p>rumination 12:14</p> <p>running 4:21</p> <p>runs 31:15</p>
<p style="text-align: center;">R</p> <p>raised [2] - 11:1, 12:20</p> <p>rate 11:2</p> <p>rather [4] - 11:1, 15:14, 23:5, 42:3</p> <p>re-emphasize 57:23</p> <p>reading 15:1</p> <p>ready [2] - 8:4, 13:17</p> <p>really [8] - 17:8, 39:23, 44:12, 44:25, 49:13, 50:10, 58:1, 59:13</p> <p>reapply [3] - 36:21, 37:1, 37:11</p>				<p>rule [51] - 28:11, 28:12, 30:20, 31:2, 31:4, 31:10, 31:11, 31:14, 31:16, 31:21, 32:2, 32:3, 32:8, 32:11, 32:14, 32:21, 33:23, 34:1, 34:3, 34:20, 35:2, 35:7, 35:14, 35:23, 35:24, 36:1, 36:2, 36:5, 36:9, 36:11, 37:11, 37:25, 38:3, 38:8,</p>	<p style="text-align: center;">S</p> <p>sample [11] - 39:4, 40:12, 40:16, 40:22, 44:13, 44:18, 45:1, 45:5, 45:15, 45:21, 47:11</p> <p>samples [5] - 38:14, 39:5, 39:10, 45:10, 45:13</p> <p>sampling [8] - 35:3, 35:4, 38:11, 38:12, 38:17, 39:8, 39:13, 45:22</p> <p>sanitarians 41:24</p> <p>satisfactory 37:4</p> <p>says 28:12</p> <p>schedule [17] - 4:19, 5:22, 6:4, 7:10, 10:18, 13:2, 15:24, 16:14, 19:24, 20:25, 24:15, 28:24, 30:1,</p>

<p>47:21, 48:1, 57:10, 57:13 scheduled 26:2 schedules [6] - 13:18, 17:9, 17:13, 20:24, 43:5, 43:6 scheduling [3] - 6:23, 14:16, 28:3 seal 61:16 season [6] - 40:6, 40:11, 40:19, 40:22, 44:1, 52:7 seasonal [11] - 39:20, 39:22, 39:24, 43:19, 43:21, 43:23, 49:16, 49:19, 51:23, 52:12, 52:17 seconded [4] - 3:17, 4:4, 25:17, 53:12 Section 10:2 seeing [2] - 50:21, 53:1 seems [2] - 15:1, 19:23 self-explanatory 48:24 send 33:14 sense [2] - 27:15, 27:18 sent [7] - 32:6, 32:7, 32:10, 33:10, 33:17, 33:18, 48:3 separate [2] - 8:24, 9:1 separated 43:21 September [4] - 1:6, 1:13, 5:16, 11:19 septic 49:18 series 42:1 seriously 59:21 Services 10:2 serving [4] - 36:4, 38:15, 38:19, 41:13 session</p>	<p>18:23 sets [2] - 5:22, 10:17 settled 9:6 several [2] - 13:8, 31:24 sewer 50:5 shades 20:9 shall [2] - 28:13, 60:5 share [3] - 16:20, 18:1, 32:2 sheet [3] - 45:20, 46:8, 48:3 Shiloh [2] - 16:15, 16:17 short 33:11 shorthand 61:10 showing 48:17 Shropshire [12] - 1:20, 2:23, 2:24, 3:14, 6:13, 6:20, 16:1, 21:16, 21:23, 22:4, 51:5, 51:17 shutting 11:13 sign 38:7 Signal [2] - 9:5, 26:12 signature 7:6 signed 6:25 significant [2] - 34:12, 34:14 signs 47:15 similar [3] - 26:10, 46:10, 46:18 simply [7] - 5:22, 14:14, 14:15, 22:15, 22:17, 28:2, 58:11 single 38:19 sit 42:16 site 27:4 sitting [2] - 7:21, 7:22 situation 52:9 six 21:3 Sixth 1:11 ski 52:3 slide [7] -</p>	<p>35:21, 35:22, 36:23, 37:2, 40:1, 41:3, 43:12 slides 36:13 slight 3:12 slightly [3] - 32:1, 32:20, 36:14 smaller 47:4 sometime 15:17 somewhat 58:10 sorry [4] - 3:6, 8:22, 29:9, 55:17 sort [3] - 5:11, 13:22, 23:24 sorts 22:21 source [5] - 35:5, 39:15, 45:24, 46:4, 47:22 sources [5] - 10:16, 11:12, 34:21, 34:22, 35:10 speaks 28:4 special [4] - 17:24, 18:5, 18:22, 25:9 specific [4] - 22:20, 26:19, 36:3, 46:11 specifically [6] - 10:4, 30:4, 35:1, 35:19, 38:13, 50:24 spending 39:11 spent 27:13 spoke [2] - 10:12, 24:9 squeeze 19:25 SS 61:3 staff [3] - 46:17, 47:1, 47:19 stagnant 40:8 stakeholders 11:8 standards 54:17 star [2] - 42:11, 45:21 stare 58:22</p>	<p>start [7] - 2:13, 33:23, 36:12, 36:16, 42:18, 49:20, 52:6 start-up [2] - 39:25, 40:2 started 47:3 starting [2] - 36:6, 42:10 State [16] - 1:2, 31:18, 37:11, 38:8, 38:13, 40:3, 40:13, 40:25, 42:22, 42:25, 43:6, 47:17, 54:9, 55:25, 61:2, 61:7 stated 41:22 statement [2] - 23:25, 59:22 statements 5:13 states [3] - 31:6, 43:3, 43:4 stating 56:2 statute 28:12 statutes [2] - 54:10, 55:25 stay 42:4 stayed [2] - 5:7, 44:8 stays 52:10 step [2] - 22:7, 40:16 steps 37:17 stick 43:4 Stillwater 29:8 stipulate [2] - 23:19, 57:25 stipulating 58:25 stipulation [3] - 4:14, 4:17, 7:5 storage [2] - 46:5, 47:12 straight 27:17 strikes [2] - 18:25, 19:9 stringency [3] - 54:23, 55:6, 55:12 stringent 54:14</p>	<p>Strip [3] - 8:17, 12:4, 26:1 studying 23:4 stuff 48:17 styled 26:11 Subdivision 7:4 submit [2] - 19:14, 38:2 submitted [3] - 3:16, 12:6, 18:4 substantive [2] - 8:7, 23:20 subsurface 50:11 sufficiency 27:8 sufficient [8] - 10:19, 12:17, 16:22, 18:2, 19:16, 24:12, 24:20, 25:13 suggested [2] - 19:13, 58:8 suggesting [5] - 35:14, 35:15, 37:19, 43:7, 43:10 suggestion [2] - 18:25, 19:8 suggestions 20:23 summary [9] - 5:18, 12:6, 23:17, 23:23, 24:4, 33:4, 43:12, 58:17, 59:12 Supervisor 10:3 supply [12] - 4:13, 30:25, 31:9, 32:4, 32:9, 32:11, 34:15, 34:17, 48:5, 50:2, 50:4, 52:15 support [4] - 5:17, 10:19, 11:15, 22:9 supposed [4] - 42:7, 59:9, 59:14, 59:15 Supreme [2] - 8:8, 8:9</p>	<p>suspiciously 26:10 switched 41:16 sympathized 29:21 sync 37:25 system [36] - 31:6, 34:15, 37:3, 39:11, 39:14, 40:5, 40:7, 41:3, 44:13, 45:4, 45:9, 45:11, 45:15, 45:19, 45:24, 46:2, 46:7, 46:11, 46:12, 46:18, 46:19, 46:21, 47:5, 47:13, 47:21, 50:5, 50:5, 50:6, 50:19, 50:22, 50:25, 51:23, 52:1, 52:5, 52:12, 52:15 systems [37] - 36:3, 36:3, 36:6, 36:11, 36:15, 38:14, 38:18, 38:22, 39:2, 39:9, 39:20, 39:22, 39:24, 41:11, 41:12, 41:13, 41:14, 41:18, 42:4, 42:10, 42:19, 42:24, 43:8, 43:17, 43:20, 43:22, 43:22, 43:24, 44:5, 44:15, 47:5, 49:16, 49:18, 49:18, 49:19, 50:12, 50:18</p> <hr/> <p style="text-align: center;">T</p> <p>table 42:21 taken [2] - 2:2, 61:8 takes 47:4 taking 27:17 takings 54:23 Tammy [3] - 30:21, 30:24, 49:11 tank 47:12 taps 35:4</p>
--	--	--	--	--	---

TCR [5] - 39:2, 39:3, 39:4, 43:16, 44:5	56:14, 56:18, 60:1, 60:13	38:16, 39:7, 39:10, 39:21, 40:17, 40:21, 42:6, 44:14, 45:4, 45:10, 45:13, 46:9, 46:22, 53:3	twists 26:13 type 45:7 types 41:4 typo [2] - 29:8, 29:10 typographical 29:22 typos [2] - 48:11, 48:18	7:8, 37:6, 37:6, 37:12, 37:13, 37:15, 50:16 voided 27:2 volume [2] - 15:12, 18:3	26:1, 26:18 Westmoreland 5:22 what's [4] - 29:24, 44:24, 47:23, 51:22 whatever [3] - 16:6, 19:6, 51:1
technical [6] - 22:9, 33:18, 48:2, 48:9, 49:7, 53:4	Thanks [3] - 6:7, 6:17, 16:7	towards 5:11 town 20:22 track [3] - 35:9, 39:15, 47:23	<hr/> U <hr/>	<hr/> W <hr/>	WHEREOF 61:15 WHEREUPON 2:1
technically 59:8	therefore [3] - 11:17, 12:23, 13:10	training 47:10	Ulrich [3] - 9:23, 9:25, 10:1	wanted [3] - 6:16, 18:13, 43:13	whether [6] - 8:5, 14:3, 20:8, 27:10, 59:15, 59:16
technique [3] - 37:6, 37:14, 37:15	they'll [9] - 45:22, 45:23, 45:24, 45:25, 46:17, 47:24, 52:2, 52:4, 52:6	transcribed 61:11	ultimately 13:12	warn 6:16	Whichever 14:11
techniques 45:23	they're [19] - 8:24, 9:1, 12:12, 36:3, 36:7, 36:15, 36:24, 40:7, 40:18, 42:7, 42:7, 43:25, 44:7, 48:24, 49:7, 49:20, 50:3, 50:4, 59:2	TRANSCRIPT 1:8	unanimously [2] - 4:9, 56:18	wastewater [6] - 50:5, 50:11, 50:11, 50:17, 50:19, 50:24	whole [2] - 6:10, 55:2
telephonic 18:11	they've [5] - 40:6, 40:6, 40:14, 40:15, 44:8	transcription 61:11	uncontested [3] - 59:10, 59:16, 59:22	we'd [2] - 19:10, 42:3	whose 13:8
telephonically [2] - 22:18, 33:9	thing [2] - 57:19, 58:8	transient [4] - 41:12, 43:9, 43:21, 43:22	understand [4] - 16:7, 16:24, 35:24, 35:25	we'll [6] - 2:6, 3:3, 16:11, 16:11, 33:3, 34:8	wide 35:1
temporary [2] - 44:17, 44:19	thinking [2] - 3:7, 44:21	travelling 6:14	understanding 55:12	were [21] - 4:10, 5:11, 6:7, 6:8, 18:19, 18:23, 25:5, 27:21, 34:24, 35:5, 35:15, 37:19, 38:17, 39:2, 39:12, 42:25, 43:7, 47:7, 47:18, 50:21, 59:14	willing [2] - 19:10, 20:15
ten 52:9	third 38:22	treatment [5] - 37:6, 37:13, 37:14, 46:4, 47:23	unfortunately [2] - 21:24, 22:5	wish 13:20	winter 52:10
tend 15:10	thorough 53:20	tried 23:5	Union 18:17	wishes 17:20	Withdraw 57:21
term [3] - 35:16, 35:17, 35:20	thoroughly 12:10	trigger [6] - 40:23, 44:23, 45:5, 45:9, 46:11, 46:14	United 31:6	Within [4] - 10:3, 16:14, 46:14, 51:13	within [4] - 10:3, 16:14, 46:14, 51:13
termination 5:25	thoughts 15:20	triggered [4] - 36:7, 36:19, 44:9, 45:14	unless 44:9	WITNESS 61:15	WITNESS 61:15
terms [5] - 13:9, 33:21, 35:20, 44:12, 47:9	though 39:12	triggers [3] - 37:14, 46:11, 46:15	update [3] - 6:9, 9:20, 56:1	won't [3] - 16:21, 51:12, 51:14	won't [3] - 16:21, 51:12, 51:14
test [6] - 31:6, 37:4, 40:17, 40:18, 40:21, 44:16	thoughts 15:20	Trucking 6:22	updated [2] - 29:12, 55:25	workable [2] - 22:23, 25:6	workable [2] - 22:23, 25:6
testimony 2:2	throw 20:17	true [2] - 58:17, 61:12	updates 4:11	works [3] - 17:13, 21:21, 22:20	works [3] - 17:13, 21:21, 22:20
testing [3] - 40:12, 42:20, 44:22	Thursday 22:2	Tuesday 22:1	upon 18:6	worry [2] - 20:5, 20:8	worry [2] - 20:5, 20:8
thank [38] - 2:8, 2:12, 4:9, 4:12, 6:11, 7:15, 9:2, 9:14, 9:16, 9:20, 11:25, 16:8, 17:18, 18:14, 19:18, 19:19, 21:22, 26:6, 28:14, 29:11, 30:14, 30:22, 33:20, 38:5, 49:8, 51:3, 51:10, 51:18, 52:18, 53:19, 53:20, 54:25, 55:17, 56:6,	to-wit 2:2	Tweeten [24] - 1:19, 2:25, 3:1, 15:10, 15:20, 20:25, 23:14, 24:9, 25:14, 25:17, 27:12, 28:17, 29:13, 30:6, 51:19, 51:20, 52:8, 52:18, 57:17, 57:21, 58:15, 59:6, 59:24, 60:8	using [3] - 32:21, 36:15, 61:11	worth 16:6	worth 16:6
	today [11] - 6:25, 7:22, 12:16, 13:20, 15:8, 23:7, 32:1, 54:7, 54:21, 55:2, 57:3	twelve [2] - 46:14, 46:23	usually 19:24	wouldn't [3] - 27:14, 38:22, 52:8	wouldn't [3] - 27:14, 38:22, 52:8
	token 18:24		<hr/> V <hr/>	wrapped 5:19	wrapped 5:19
	top 37:2		variety 35:2	writing [3] - 32:3, 41:23, 42:2	writing [3] - 32:3, 41:23, 42:2
	topic 7:12		verbiage 37:10	written [2] - 43:2, 43:3	written [2] - 43:2, 43:3
	total [20] - 31:2, 31:11, 34:1, 35:13, 37:4, 38:11,		vernacular 19:3	wrong 55:9	wrong 55:9
			versus 8:12		
			via 33:12		
			violation 46:13		
			violations [8] - 4:23,		
				<hr/> Y <hr/>	
				yesterday	yesterday

<p>48:4 yet 11:6 you'd [2] - 39:1, 60:1 you'll [3] - 26:9, 30:15, 43:20 yourself 21:14</p>					
--	--	--	--	--	--